

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FEDERAL ENERGY REGULATORY COMMISSION

-----  
In the Matter of  
Technical Conference on MISO  
Planning Resource Auction  
Docket Nos. EL15 70 000  
EL15 71 000, and EL15 72 000  
EL15 82 000  
-----

Washington, D.C.  
October 20, 2015  
9:00 a.m.

888 First Street Northeast  
Washington, DC 20426

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

TABLE OF CONTENTS

SESSION 1: Market Power Mitigation

Implementation of the Current Mitigation Procedures  
and Reference Level Calculations

Moderator: Leopoldo Soto - Arriagada, OEMR

Panelists:

Jeffrey Bladen, MISO

Renuka Chatterjee, MISO

David Patton, Ph.D., Potomac Economics, Ltd.

Stu Bresler, PJM

James Dauphinais, Brubaker & Associates, Inc. speaking  
on behalf of Illinois Industrial Energy  
Consumers

Robert McClullough, McCullough Research, speaking on  
behalf of Illinois Attorney General's Office

1 Panel 2: Alternatives to the Current Mitigation  
2 Procedures and Reference Level Calculations

3

4 Moderator: Laurel Hyde

5

6 Panelists

7 Jeffrey Bladen, MISO

8 Renuka Chatterjee, MISO

9 David Patton, Ph.D., Potomac Economics, Ltd.

10 Ali Al-Jabir, Brubaker & Associates, Inc. speaking

11 on behalf of Illinois Industrial Energy

12 Consumers

13 Robert McClullough, McCullough Research, speaking on

14 behalf of Illinois Attorney General's Office

15 Roy Shanker, speaking on behalf of Electric Power

16 Supply Associates

17

18

19

20

21

22

23

24

25

1       Session 2: Local Requirements

2       Moderator Angelo Mastrogiacomo, OEMR

3

4       Panelists

5       Kevin Vannoy MISO

6       Laura Rauch, MISO

7       Renuka Chatterjee MISO

8       David Patton, Ph.D., Potomac Economics Ltd

9       James Dauphinais, Brubaker & Associates, Inc. speaking

10                               on behalf of Illinois Industrial Energy

11                               Consumers

12

13       Session 3: Zonal Boundaries

14

15       Moderator: Emma Nicholson, OEPI

16       Panelists

17       Kevin Vannoy MISO

18       Laura Rauch, MISO

19       Renuka Chatterjee MISO

20       David Patton, Ph.D., Potomac Economics Ltd

21       Marcus Hawkins, Wisconsin Public Service Commission on

22                               behalf of the Organization of MISO States

23

24

25

1 Session 4; Wrap Up

2 Moderator: Laurel Hyde

3

4 Jeff Bladen MISO

5 Renuka Chatterjee MISO

6 David Patton, Ph.D., Potomac Economics Ltd

7 Henry Jones, Dynergy, Inc.

8 Robert Weishaar, McNeese Wallace & Nurick LLC, on

9 behalf of Illinois Industrial Energy

10 Consumers

11 Tyson Slocum Public Citizen, Inc.

12

13

14 \* \* \* \* \*

15

16

17

18

19

20

21

22

23

24

25



1 changes and which of these can be instituted by the  
2 2016-2017 auction.

3 This Technical Conference will not address  
4 any assertions that market manipulation occurred in the  
5 2015-2016 auction.

6 That topic is being addressed in the  
7 Commission's non-public formal investigation in Docket  
8 Number IN 1510.

9 Discussion at this conference may include  
10 matters relating to ER 11-4081.

11 Panelists should refrain from discussing the  
12 specifics of any other cases pending before the  
13 Commission to avoid ex parte concerns.

14 Our primary focus today will be to understand  
15 technical aspects of how MISO's capacity auctions are  
16 structured and how they are or could be implemented.

17 We are here to collect information. We are  
18 aware of the arguments of the parties that filed  
19 pleadings in these cases and are not looking to see a  
20 recitation of those arguments.

21 Please note that just because we are not  
22 addressing some of the topics raised in the pleadings  
23 does not mean that the Commission or the Staff is  
24 ignoring those topics.

25 Given the time constraints of this one-day

1 technical conference, it will focus on topics that Staff  
2 needs more information on.

3 To allow time to examine the technical  
4 details we want to discuss, we will not have panelists  
5 opening statements.

6 We will conduct the panels in a  
7 question-and-answer format. We will not necessarily be  
8 addressing all questions to all of the panelists in a  
9 given session, but rather we may direct our questions  
10 to certain panelists in order to discover specific  
11 information that will help the Commission's Staff to  
12 better understand the issues already presented to us.

13 This is an on-the-record conference that will  
14 be transcribed. Any materials received from speakers  
15 will be included in the record of the complaint  
16 proceedings.

17 We have four sessions today. The first  
18 session is scheduled to run until 12:15 and will  
19 include a 15-minute break around 10:45.

20 This session addresses mitigation structure  
21 in the auction primarily with respect to reference  
22 levels and opportunity cost.

23 The first half primarily addresses the  
24 current implementation of those provisions and explores  
25 the extent to which other opportunities are available



1 to sellers in the MISO capacity market.

2 The second half addresses alternatives to the  
3 current mitigation procedures and reference levels.  
4 The second session is scheduled for 1:15 to 2:15, and  
5 will discuss the calculation of local clearing  
6 requirements and capacity import and capacity export  
7 limits.

8 The third session, scheduled from 2:15 to  
9 3:00 will discuss zonal boundaries used in the  
10 planning resource auction.

11 It will be followed by a 15-minute break.

12 The fourth session, scheduled from 3:15 to  
13 4:00, will examine the panelists' views on  
14 changes to the tariff that may be necessary to ensure  
15 just and reasonable capacity auction outcomes going  
16 forward.

17 We have a lot of ground to cover in a short  
18 amount of time today. With that in mind, if a  
19 discussion goes astray that is outside the scope of the  
20 panel or is outside of the scope of the question, we  
21 may interject to bring the discussion back to topic.

22 Let me close with a few housekeeping matters.  
23 Please do not bring food or drinks other than bottled  
24 water into the Commission meeting room.

25 Please turn off your cell phones if you have

1 not already done so.

2 There are bathrooms and water fountains  
3 behind the elevator banks on each end of the building.

4 For the panelists, if you would like to be  
5 recognized to speak, please place your tent cards up  
6 and please be sure to turn on your microphone and speak  
7 directly into it.

8 When you are not speaking, please turn your  
9 microphone off so as to avoid background noise.

10 I realize that this is difficult but please  
11 do your best to avoid using acronyms or abbreviations  
12 and we will try to do the same.

13 I would like to turn to Commissioner  
14 LaFleur to see if she has any opening comments for us.

15 COMM. LAFLEUR: Good morning, Laurel, and  
16 thank you all for being here.

17 I know some folks have traveled for a ways  
18 for a not very long notice, we really appreciate your  
19 being here for this for what I'm sure will be an  
20 interesting discussion.

21 I especially want to thank Commission  
22 Staff many of whom, but not all who work on this  
23 you see arrayed before you, for pulling this together  
24 and organizing the day.

25 I am here at the "Little Kids Table" and I

1 will be here for at least a couple of the sessions to  
2 listen and really try to ensure that I fully understand  
3 the way all of these elements fit together because I  
4 know that these tariffs of all things are places where  
5 details count.

6 I'm sure it's going to be an interesting day.  
7 Thank you.

8 SESSION 1: Market Power Mitigation

9 DR. HYDE: Thank you, Commissioner LaFleur  
10 and how we are going to start the first panel.  
11 Dr. Leopold Soto from the Office of Energy Market  
12 Regulation will be leading that first panel.

13 DR. SOTO: Thank you, Laurel. Welcome  
14 everybody to the first panel of the day. I thank the  
15 panelists for being here and yes this should be an  
16 interesting discussion.

17 The members of the panel are:

18 Mr. Jeff Bladen from MISO.

19 Dr. Renuka Chatterjee for MISO.

20 Dr. David Patton from Potomac Economics.

21 Mr. Stu Bresler from PJM.

22 Mr. James Dauphinais from Brubaker Associates  
23 speaking on behalf of Illinois Industrial Energy  
24 Consumers.

25 Mr. Robert McCullough from McCullough

1 Research speaking on behalf of the Illinois Attorney  
2 General's Office.

3 The purpose of this panel is to gather  
4 information about the current implementation of the  
5 mitigation procedures and reference level calculations.

6 We will talk about the different alternatives  
7 to the auction PRA.

8 Sellers have to sell their capacity and there  
9 are different ways to estimate the opportunity costs  
10 for those selling in the auction and facility specific  
11 reference level and if time permits we will include a  
12 conversation of conduct threshold.

13 Many of the questions related to these topics  
14 would be about facts and so we will direct those  
15 questions to individual panelists, and the other  
16 questions that are broader in scope so I will direct them  
17 to the panel in general.

18 The first set of questions is about the  
19 different alternatives auction sellers have to sell  
20 their capacity.

21 I would ask about different facts that are  
22 related to the feasibility of these alternatives,  
23 historical outcomes, and barriers to those sales.

24 All of these questions will be in relation to  
25 the competition, opportunity costs and initial

1 reference levels.

2 For the benefit of the audience, I want to  
3 point out that reference levels are a measure of  
4 resources marginal costs including legitimate risk  
5 and opportunity cost and that opportunity cost is  
6 the value of the best alternative sellers give up  
7 when selling their capacity into the auction.

8 Initial reference levels include opportunity  
9 costs and are applied to all facilities unless they  
10 have requested to document a different facility  
11 specific reference level.

12 Initial reference levels are important because  
13 it is used to mitigate market power, so it is important that  
14 we have a good estimate of the components used to  
15 estimate these reference levels.

16 We will spend a good portion of our time  
17 talking about opportunity costs, our main ingredient in  
18 the recipe for initial reference level.

19 So, as one potential way to measure opportunity  
20 costs, let's start with some questions for our PJM  
21 panelists about the feasibility of selling MISO based  
22 capacity in the PJM capacity market.

23 Mr. Bresler, what transmission product must the  
24 MISO resource buyer have in order to sell the capacity  
25 into PJM right now?

1                   MR. BRESLER: Good morning, Dr. Soto, and  
2                   FERC Staff, it is a pleasure to be here this morning.

3                   Your question was: What transmission service  
4                   products a MISO resource acquires in order to sell  
5                   capacity into PJM. Primarily they would utilize what  
6                   we term our network external designated transmission  
7                   service product.

8                   This is a product that a participant  
9                   typically will request through our interconnection  
10                  queue because it is typically reserved on a longer-term  
11                  basis.

12                  However, it is also possible to reserve  
13                  network external designated on a monthly basis on a  
14                  more short-term type of a request.

15                  Hypothetically, a market participant could  
16                  also use firm point-to-point into PJM in order to  
17                  deliver capacity.

18                  However given the fact that that carries with  
19                  it the firm point-to-point transmission rate, like I  
20                  said earlier, typically, participants will use the  
21                  network external designated transmission service which  
22                  does not carry a transmission service reservation  
23                  charge.

24                  DR. SOTO: Would the MISO finalist like to  
25                  add anything to that?

1 DR. CHATTERJEE: The requirements are  
2 similar. They need to have phone service and either it  
3 is point-to-point or a designated network service which  
4 requires phone service to get out of MISO.

5 DR. SOTO: Thank you. Mr. Bresler, let me go  
6 back to you again. How would this change with  
7 adoption by PJM of the pseudo-tie requirements for  
8 capacity imports into PJM?

9 MR. BRESLER: The transmission service  
10 requirements do not change. The pseudo-tie requirement  
11 is merely the mechanism by which the energy is  
12 dispatched and essentially transferred from the  
13 resource to PJM, so it's more of an energy dispatch  
14 requirement as far as the pseudo tie is concerned, the  
15 transmission reservation requirements are the same.

16 DR. SOTO: Thank you. Are there other MISO  
17 panelists who would like to add anything?

18 DR. CHATTERJEE: We do not have a pseudo-tie  
19 requirement today for capacity coming into MISO. For  
20 going out we don't have any requirements, either.  
21 They will have to comply with whatever they are trying  
22 to export.

23 DR. SOTO: Thank you. Dr. Patton?

24 DR. PATTON: I do not think I have much to  
25 add other than I am a staunch opponent of the

1 pseudo-tie requirement.

2 DR. SOTO: Thanks. I will put that in my notes. Back  
3 to you, Mr. Bresler. How much total transmission capability  
4 existed between MISO and PJM on the date of the third  
5 PJM incremental auction for the 2015-2016 delivery year  
6 and how much of that capacity was already subscribed  
7 and no longer available at the time of the auction?

8 MR. BRESLER: Yes, I provided some slides as  
9 handouts because this is not a short question to  
10 answer.

11 Let me walk through it.

12 If you look at Slides 4, 5, and 6 of the  
13 handout, and let me just concentrate on Slide 4 just as  
14 an example, if I could.

15 The specific question is how much total  
16 transfer capability existed and how much of that  
17 transfer capability was subscribed from MISO into PJM  
18 from, and I am speaking from PJM's perspective, as of  
19 the date of the third incremental auction for 2014-2015  
20 of this particular slide, as 15-16 is on Slide 5.

21 What we did in order to answer that question  
22 was we went back in our historical database and we  
23 looked at, as of March 8, 2014, which was the date the  
24 window closed, the offer window closed for the third  
25 incremental option for 2014-2015, the TTC which is



1 Total Transition Capability, the ETC, which is Existing  
2 Transmission Commitments, and the ATC, these are all  
3 firm values, firm available transmission capability for  
4 each of the MISO paths for which we post a value into  
5 PJM for the 2014-2015 delivery year on a monthly basis.

6 That is what Slide 14 has. Again, Slide 15  
7 that has the same information for the date, the third  
8 incremental auction for 2015-2016 closed on a monthly  
9 basis in each of those values.

10 If a market participant wanted to come into  
11 PJM and reserve network external designated  
12 transmission service for any period of the 2014-2015  
13 delivery year, as of the third incremental auction date  
14 in PJM, so it's that near-term, it is only a couple months  
15 ahead of the start of the delivery year, these are the  
16 values they would have seen on a monthly basis.

17 I do not think you want me to go through  
18 every single number as part of my answer.

19 DR. SOTO: Can you do an estimate of the  
20 total between PJM and MISO?

21 MR. BRESLER: The difficult part here is that  
22 these numbers are not stand alone values, so a  
23 reservation on one path will result in a decrement of  
24 another path.

25 You cannot sum these values and say that the

1 total of these values was the total that was available.

2 That question then is extremely difficult to  
3 answer without knowing the specific path under which  
4 somebody actually made a transmission service request.  
5 I have more to add, but I want to make sure that what  
6 is here is clear before I go on.

7 This is like I said, a snapshot of what a market  
8 participant would have seen and basically what would  
9 have been available to them as of that closing date of  
10 the third incremental auction.

11 It is not the whole story though with what a  
12 participant could have reserved as far as network  
13 external designated service into PJM from a MISO  
14 resource for this delivery year.

15 As I said earlier, typically, when a market  
16 participant looks to reserve network external  
17 designated service they typically tend to do so on a  
18 longer-term basis and will actually come in further  
19 ahead of time in the interconnection queue and be  
20 studied on a unit specific basis as to the feasibility  
21 of that service.

22 There very well could have been more than  
23 what is shown here that could have been reserved should  
24 a market participant have done that further ahead in  
25 the process in time to get through the queue and

1 through all of the necessary studies that take place  
2 which usually takes at least months if not a year or  
3 more to get through that process.

4 I wanted to make clear for everyone that this  
5 is what was specifically requested as far as the data  
6 in the notice.

7 It doesn't quite tell the whole story as to  
8 what could have been reserved as far as network  
9 designated service for these delivery years.

10 DR. SOTO: Thank you for the clarification.  
11 MISO panelists, do you have anything to add? Dr.  
12 Patton?

13 DR. PATTON: You are asking just on the PJM  
14 side or both sides?

15 DR. SOTO: Both sides.

16 DR. PATTON: Do you want to talk about the  
17 MISO side and then I will supplement.

18 DR. CHATTERJEE: Assuming the question is for  
19 transfer capability out of MISO to PJM.

20 From a total transfer capability study, the  
21 only point I would make is we did a fact finding study  
22 a couple years ago which showed that there was about  
23 7000 MW of transfer capability from MISO to PJM, so  
24 that's probably a relevant number for folks.

25 DR. PATTON: What we see is that there is

1 periodically ATC available, and I think that one  
2 thing that's important to recognize is that people  
3 selling capacity from MISO to PJM don't have to rely on  
4 ATC that's available at the time they choose to make  
5 the sale.

6           There is also firm rights that are held by  
7 many different participants that are not already being  
8 used to support capacity sales that can be resold or  
9 can be used to the extent that they are held by folks  
10 who hold a whole generation.

11           To give you an idea of that.

12           For the 2015-2016 planning year, there is  
13 7,648 firm rights held by MISO participants from MISO  
14 to PJM. Of those, 3,500 is related to capacity  
15 exports to PJM which means that there is 4,123 MW that  
16 are held by participants and available to be used to  
17 make incremental capacity sales which is one of the  
18 most valuable things they can do with the firm rights.

19           More than 4000 MW of firm rights won't  
20 show up as ATC because they've already been procured by  
21 the MISO participants.

22           DR. SOTO: To clarify. What you are saying  
23 is, these are they available...

24           DR. PATTON: Yes, so the total universe of  
25 what is available would be the ATC plus -- of which

1       there are some, depending on the month, plus the 4100 MW of  
2       firm export capability.

3               It is hard to tell exactly how much ATC was  
4       available at a given time because the process in MISO  
5       is you put in a request and it goes through a  
6       scenario analyzer that tells you only after you've made the  
7       request based on the powerful modeling whether there is  
8       available capability. It is not like the data is  
9       readily available.

10              DR. SOTO: That talks to the complexity that  
11       Mr. Bresler was talking about. Mr. McCullough, you had  
12       your tent up.

13              MR. MCCULLOUGH: I had a question for MISO.  
14       I was interested when you said that you had done a  
15       study several years ago and I am looking at your  
16       capacity deliverability study of June 2012, is  
17       that the study you were referring to?

18              DR. CHATTERJEE: Yes.

19              MR. MCCULLOUGH: Then I have a short comment  
20       on this. As always in capacity, there are many  
21       different features, but there is an interesting table  
22       in this.

23              Table 2, MISO to PJM non-simultaneous  
24       transfer limits and that gives us a Zone 4 unconstrained  
25       RTO of only 39.2 MW.

1 Am I reading that correctly?

2 DR. CHATTERJEE: I don't have that specific  
3 table in front of me, but I'm happy to look at it.

4 You are talking about something and I don't  
5 have that table in front of me.

6 DR. SOTO: Let me mention to the panel right  
7 now, and if you do not have the information right now  
8 you can always add that to your comments later on and  
9 the same thing with questions.

10 MR. MCCULLOUGH: I was just clarifying what  
11 we understood. Remember, we're talking here today  
12 about primarily Zone 4 and not all of MISO and PJM.

13 The two interrelate in a variety of complex  
14 fashions, but the concerns we have today with these  
15 particular factors are much more limited  
16 geographically, and James, I am taking some of your  
17 time, so I will finish up.

18 Thank you.

19 MR. DAUPHINAIS: Good morning. I just want  
20 to comment on a couple things.

21 One is what Renuka mentioned both designated  
22 network resources and point-to-point service.

23 Being a designated network resources does not  
24 confer any transmission rights to export from the MISO  
25 footprint to PJM.

1                   Under the current tariff you would have to  
2                   have firm point-to-point service in order to transfer  
3                   the capacity to the PJM market, so I want to clarify  
4                   that.

5                   I do not think you intended to be  
6                   misunderstood, but I did want to clarify that.

7                   Dr. Patton talked about the use of existing  
8                   really long-term firm point-to-point transmission  
9                   service reservations.

10                  Yes, they can potentially be used, but the  
11                  key point with them to remember is that they have to be  
12                  redirected to be utilized unless you happen to have a  
13                  right that goes from your particular generator to PJM  
14                  market already.

15                  That redirection is in the form of a  
16                  transmission service request under MISO Oasis and  
17                  specifically as a short-term firm and a long-term firm  
18                  point-to-point transmission service request.

19                  All redirections still have to go through the  
20                  queue and potentially study process at MISO depending  
21                  on the term of reservation. It is not given that it will  
22                  be approved.

23                  While there may be up to 7000 MW where it is  
24                  a long-term firm point reservations held by various  
25                  folks on the MISO system, they would have to

1        successively be redirected through the normal  
2        transmission service request process and approval  
3        process.

4                DR. SOTO: Thank you.

5                DR. CHATTERJEE: If I could just clarify the  
6        comment on the designated natural resource. MISO has a  
7        process called pre-certified PSR that is in our tariff.

8                To the extent that a resource wants to get  
9        out of MISO and they have quick service to one of our  
10       loads, we allow them to procure service up to the MISO  
11       border for an expedited process called the  
12       precertified PSR, so that is what I was referring to.

13               MR. DAUPHINAIS: In the pre-certified  
14       process, essentially, what it provides is a series of  
15       forecasted out for five years, non-simultaneous firm  
16       available transmission capability numbers.

17               They are non-simultaneous.

18               While it helps to expedite the process, you  
19       still have to go through the normal transmission  
20       service request process.

21               It may still require a system impact study.  
22       It may still not be approved even though it shows on a  
23       pre-certified list that the capacity is there.

24               DR. SOTO: Thank you for the clarification.  
25       Going back to our PJM panelists, let's now get some



1 facts about the PJM market placement capacity.

2 Mr. Bresler, how is replacement capacity  
3 defined in the context of PJM market? How does this  
4 definition include incremental auctions?

5 MR. BRESLER: Replacement capacity is  
6 capacity that a market participant utilizes in order to  
7 do exactly what the name says, in order to substitute  
8 for a resource that has a prior commitment to provide  
9 capacity in PJM.

10 Those replacement capacity resources are  
11 submitted to PJM what we call a replacement  
12 transaction, submitted through our web-based transaction  
13 systems.

14 Replacement capacity can be acquired in one  
15 of two ways. Replacement capacity can be purchased in  
16 an incremental auction so we execute three incremental  
17 auctions for each delivery year and market participants  
18 can bid to buy replacement capacity at a particular  
19 location in those incremental auctions.

20 Then replacement capacity purchased through  
21 an incremental auction can be a replacement resource  
22 that is then specified on a replacement transaction,  
23 again, to substitute for a prior commitment.

24 Resources can also be purchased bilaterally  
25 in order to provide replacement capacity as long as the

1 resources being purchased does not have an existing  
2 capacity commitment on it and a resource that is  
3 purchased bilaterally can then be transacted into the  
4 buyer's account and then utilized again as a source on  
5 a replacement transaction.

6 DR. SOTO: Any comments from the rest of the  
7 panelists.

8 MR. MCCULLOUGH: We have another source of  
9 data on this. We have the FERC EQR database and when  
10 we received your imitation, thank you, the first thing  
11 we did was to walk through and take a look at the  
12 actual record of transactions.

13 As you probably know, the EQR database is not  
14 always perfect. Some respondents apparently do not add  
15 all that well, so there is always an issue of checking  
16 and rechecking before you use it.

17 We have contacted your colleagues in the EQR  
18 area and we are in the midst of checking and rechecking  
19 now, so these are preliminary numbers.

20 It's pretty important to know that we just  
21 don't have many transactions of this sort showing up.  
22 In fact, when we actually track a specific player, and I am  
23 picking on Illinois Power Marketing, not for any  
24 implication that they are in a sense a regular, but  
25 simply because they are easily identifiable and we have

1 a good understanding of their system.

2 We discovered that almost all of their  
3 capacity sales are within Illinois.

4 The ones marked PJM, in fact, are almost  
5 minuscule, a small fraction of the total, less than 1%.

6 What it means simply is that it's a lot  
7 easier to transact capacity within a specific ISO than  
8 to cross that seam.

9 We have checked two full calendar years and  
10 that appears to be the same constant across all of  
11 them, and I will repeat the honest statement that until  
12 you have checked and have rechecked EQR data, it cannot  
13 be regarded as final, but we will finish that  
14 checking and submit the final numbers.

15 The bottom line is, this particular form of  
16 transaction is not showing up as a major export from  
17 Illinois to PJM.

18 DR. SOTO: Thank you and that brings me back  
19 to Dr. Patton.

20 DR. PATTON: PJM's data shows that the  
21 average quantity of replacement capacity transactions  
22 for the 2014-2015 delivery year, which is the most  
23 relevant because it is over, so all the placement  
24 capacity transactions that could take place have taken  
25 place, was 5,821 MW. So clearly, the demand for

1 replacement capacity in PJM is large.

2 I think whether or not -- and transmission is  
3 available for MISO suppliers to make those sales, whether  
4 they have or they have not, is not particularly relevant  
5 from the perspective of whether the opportunity exists.

6 They may very well sell bilaterally in MISO.  
7 I suspect the buyers in MISO, to the extent they have to  
8 buy short-term capacity, are having to bid it away from  
9 PJM.

10 So where you calculate the opportunity costs  
11 based on what they have to pay, I would suspect that it  
12 would be non-trivial.

13 MR. MCCULLOUGH: I respectfully disagree with  
14 that. The fact of the matter is we have a conjecture  
15 that there's a major market, but we have FERC's own  
16 data which very clearly is indicating that this may be  
17 the wrong market to be testing.

18 One other piece of information, again, from  
19 the EQR database, is that prices are very low,  
20 surprisingly low.

21 First and third incremental auction for  
22 2014-2015 were very low prices. I don't have them in  
23 front of me so I am going to guess \$5 and \$25 per day  
24 and the quantity was very low.

25 If we are going for opportunity cost we

1 really need to go to the place where the market is and  
2 not conjecture a market that has yet to develop.

3 DR. SOTO: Mr. Dauphinais.

4 MR. DAUPHINAIS: In looking at the  
5 transmission capacity and what's there, and what's  
6 happening, it is important to look at what's happening  
7 on OASIS with the actual transmission service request.

8 In 2014-2015, if you are going from  
9 Hammermill Market where a lot of our attention is within  
10 MISO, there were only 45 total short-term firm  
11 point-to-point transmission service requests made in  
12 the 2014-2015 planning year.

13 And that includes requests for firm  
14 point-to-point redirects.

15 Only six of those were granted and confirmed  
16 and all six were for just daily service on isolated  
17 days and the largest of those was 200 MW.

18 In 2015-2016, there have been 28 requests to  
19 date and only one of these requests had been granted  
20 and confirmed for 30 MW for delivery in February 2016.

21 There are just simply not transactions  
22 occurring with the possible exception of the  
23 utilization of existing long-term firm point-to-point  
24 rights that actually exist between generation in  
25 Hammermill, Illinois and PJM today, that is, they come

1 from that very specific generator that might sell  
2 replacement capacity. That is a limited amount of  
3 capacity.

4 DR. SOTO: Let me give the opportunity to Mr.  
5 Bresler as we were talking about your data.

6 What's your take on the size of the market  
7 and how much is it in the incremental auctions and how  
8 much of it is in the bilateral sales?

9 MR. BRESLER: I do not have specific data on  
10 that that I can provide for you today.

11 Slides 2 and 3 have the numbers that were  
12 specifically requested in the technical conference  
13 notice.

14 Dr. Patton referred to the 5,821 MW of  
15 replacement capacity transactions on average per day  
16 through 2014-2015.

17 To put some clarity around that. Replacement  
18 transactions do not need to be submitted for an entire  
19 delivery year. Replacement transactions can be  
20 submitted with start and stop dates that fall within a  
21 delivery year.

22 That is why I provided the average value for  
23 all days in the 2014-2015 delivery year.

24 The chart that is there that's below the  
25 little table is the specific answer to the request in

1 the notice about replacement capacity transactions from  
2 MISO resources submitted after the third incremental  
3 auction for 2014-2015, so you can see that there are a  
4 couple different durations there that those replacing  
5 capacity transactions lasted and then the  
6 megawatts quantities.

7 Then in the 2015-2016 delivery year data  
8 is on Slide 3 and it was shown similarly. The total  
9 quantity on average per day so far in 2015-2016 is  
10 3,867 MW and then you see the durations in  
11 the actual quantities of replacements, again, submitted  
12 to PJM after the third incremental auction which could,  
13 by the way, have been submitted to PJM during the  
14 delivery year itself.

15 It is not just in that short time frame in  
16 between.

17 I would agree with Dr. Patton. There is a  
18 lot of replacement that does occur in PJM. The numbers  
19 here as far as MISO resources is that sort of  
20 relatively small snapshot that is just MISO resources  
21 and just after the third incremental auction.

22 DR. SOTO: Mr. McCullough.

23 MR. MCCULLOUGH: Two quick observations. The  
24 first is, I chose the example of Illinois Power  
25 Marketing because apparently it does have dedicated

1 transmission. It had the best of all possible  
2 situations.

3 The second is regardless of duration, every  
4 one of those transactions is to be filed in the EQR.

5 When we don't find a lot, we are not finding a  
6 lot of neither daily, monthly or yearly.

7 DR. SOTO: Thank you. Back to you, Mr.  
8 Bresler. For each of the last three delivery years,  
9 how much replacement capacity was bought prior to the  
10 start of the delivery year from all external resources,  
11 and, if you have information from MISO in particular?

12 MR. BRESLER: I do apologize, Dr. Soto. I  
13 did not bring those numbers with me, but certainly we  
14 can follow up with comments after the Technical  
15 Conference, so if there is additional data it would be  
16 helpful from PJM's perspective.

17 I don't have those specific numbers in front  
18 of me. Just so you know though replacement transactions do  
19 not need to be submitted to us at the time the actual replacement  
20 capacity is procured.

21 We see a certain amount of replacement  
22 capacity that is purchased in incremental auction and  
23 we would have that data for each incremental auction  
24 and then we would have the amount of replacement  
25 capacity that is exactly submitted to PJM through



1 replacement transactions prior to or during the  
2 delivery year.

3 The time it is submitted to PJM is not  
4 necessarily the time it is purchased, right, and that's  
5 true also for bilateral transactions as well.

6 I do not have a specific view into, or PJM  
7 does not have a view into when an actual contract was  
8 struck, when an actual purchase was made, if it was done  
9 bilaterally, or the price at which it was made.

10 There might be data available through other  
11 sources.

12 All we see is the megawatts and the  
13 replacement value, the replacement quantity that is  
14 being utilized on the specific resources being replaced  
15 when those replacement transactions come to PJM.

16 Certainly, we could follow up with whatever  
17 data that would be helpful as far as that is concerned.

18 DR. SOTO: Thank you. Do you know what is  
19 the percentage of the total is the actual auction and  
20 how much in the bilateral trade?

21 MR. BRESLER: I don't, but again, we would be  
22 happy to follow up with that data if that is helpful.

23 DR. SOTO: Yes, thank you for your follow up.  
24 You may not have the data for this one either, but just  
25 to get it on the record, Mr. Bresler.

1                   For each delivery year, how much replacement  
2                   capacity was bought after the last PJM incremental  
3                   auction and before the beginning of the PJM delivery  
4                   year from all sources external to PJM and resources in  
5                   MISO.

6                   MR. BRESLER: The timing of the actual  
7                   purchase is difficult for PJM to determine.

8                   All we know is when the replacement  
9                   transaction itself is submitted into PJM's system, we  
10                  could provide certainly that data and say how many  
11                  megawatts of replacement transactions were submitted to  
12                  PJM after the third incremental auction.

13                  What you have on Slides 2 and 3 are again the  
14                  MISO specific sources replacement transaction submitted  
15                  to PJM after the third IA for those two delivery years.

16                  Again, we could provide the data in the  
17                  aggregate if that would be helpful.

18                  DR. SOTO: Thank you. Mr. McCullough?

19                  MR. MCCULLOUGH: We can help on that. The  
20                  EQR database does have a field for the date of the  
21                  transaction.

22                  DR. SOTO: Mr. Bresler, do you have any  
23                  estimate of the bilateral prices?

24                  MR. BRESLER: I am sorry, I do not. We do  
25                  not have visibility into the actual prices paid for the

1 capacity.

2 Like I said, it might be available through  
3 the EQR source, but we don't have that.

4 DR. SOTO: Do any of the panelists have  
5 information on that?

6 MR. MCCULLOUGH: We do and they are low and  
7 if I was going to characterize an average, the average  
8 would be in the \$10-\$20 range. That is historical data  
9 obviously, so it is not up to date, and number two,  
10 it's not checked and rechecked.

11 But the scale of the dollar amounts surprised  
12 us as being so low.

13 DR. SOTO: Back to Mr. Bresler. Do you know  
14 how often PJM has tested a daily deficiency charge to a  
15 load serving entity?

16 MR. BRESLER: I don't have the specific  
17 numbers off the top of my head, but I can tell you that  
18 I think it is a very infrequent occurrence where  
19 deficiency charges are applied.

20 It has happened in the past, but not very  
21 often, not for very many dollars.

22 DR. SOTO: This was just to get an idea what  
23 the price range is. Are there any of the comments from  
24 the panelists?

25 Now we have some sense of the size and the

1 prices really to PJM capacity auction. We can turn to  
2 Dr. Patton to see the relationship between replacement  
3 capacity market and the opportunity cost MISO  
4 resources selling to the MISO auction.

5 First, Dr. Patton: What role does the size  
6 of PJM replacement capacity play in your decision for  
7 use in PJM's daily deficiency rate as a measure of  
8 opportunity costs?

9 DR. PATTON: We view the size of the  
10 opportunity as being a threshold question where there  
11 has to be a material opportunity and once that  
12 opportunity exists, then that opportunity cost is the  
13 marginal cost for all the suppliers who potentially  
14 might choose to export, and obviously, in 98% of the  
15 resources that are being evaluated under the initial  
16 reference level are already committed to satisfy their  
17 own requirements in MISO or are making sales in MISO.

18 It certainly does not have to be the case  
19 that the opportunity is available to every resource even  
20 though the reference levels is applied to every  
21 resource.

22 There has to be some degree of confidence  
23 that that opportunity can be taken advantage of by a  
24 substantial share of the uncommitted capacity.

25 DR. SOTO: What is that threshold to make it

1 a substantial share, where it is: "You know it when you  
2 see it."

3 DR. PATTON: Yes, I do not have a number.  
4 The problem is -- what you want to guard against in  
5 terms of market power in mitigation is compelling  
6 suppliers to sell below the competitive level that they  
7 would otherwise choose to sell at.

8 With regard to the application of the  
9 reference level, let's say, the opportunity is 1,000  
10 megawatts or 2,000 MW which is small relative to the  
11 total base of supply in MISO, but there is not a way to  
12 allocate the reference level to only 1000 MW or only  
13 2000 MW because ultimately at the end of the day you do  
14 not know which megawatts you are going to choose to  
15 take the opportunity to export to PJM versus selling  
16 bilaterally in MISO or doing something else with their  
17 capacity exporting it to STP or whatever.

18 I am sorry, I cannot give you a definitive  
19 number.

20 DR. SOTO: That's okay. Having the rationale  
21 is helpful.

22 DR. PATTON: Yes.

23 DR. SOTO: That is also good. Are there any  
24 other panelists who have any thoughts about that?

25 MR. DAUPHINAIS: Yes, I definitely have

1 thoughts as is probably well aware from my affidavits,  
2 but there are 3,425 MW offered very near or above the  
3 reference level just from the Emeryville, Illinois  
4 zone, local Resource Zone 4.

5 What the analysis is showing is that this PJM  
6 capacity deficiency rate bilateral market replacement  
7 capacity is much smaller or, at least what you can  
8 access, is much smaller than 3,425 MW.

9 The critical question on lost opportunity is:  
10 Is there a home? A paying home, for all of this  
11 excess capacity.

12 If there is not a paying home, we're in an  
13 oversupply situation. If we are in an oversupply situation,  
14 if we have perfect transparency, would drive the price down.

15 We are very careful by putting in opportunity  
16 costs based on very small opportunities that  
17 cannot swallow this oversupply as it really overstates  
18 the supply and demand situation, that is, it overstates  
19 how much demand there is for the supply that is  
20 present.

21 DR. SOTO: Mr. McCullough and then Dr.  
22 Patton.

23 MR. MCCULLOUGH: No, we are surplus in Zone 4  
24 and that surplus is, I believe, not in debate. The  
25 surplus is significantly larger than the transactions

1 we would measure for this transfer to PJM, so much  
2 larger that it would not normally drive anything.

3 The players that we see who are active and  
4 have dedicated transmission, that's not open to  
5 everyone and in fact it is probably highly restricted.  
6 So we are, in a sense, identifying the price which  
7 it exists, at best, is for a very small component of  
8 the Zone 4 capacity surplus and as such would not  
9 normally drive the price in a regular market.

10 DR. PATTON: Yes, I think I want to, sort of,  
11 tell you how important it is to guard against being  
12 too myopic in looking only at PJM.

13 The reality is that suppliers with  
14 uncommitted capacity may be selling it all over the  
15 place, right?

16 The fact that we are using an opportunity  
17 cost from PJM doesn't mean that all of the uncommitted  
18 capacity has to go to PJM. To the extent that PJM, the  
19 value of capacity in PJM, is driving the value of  
20 capacity in areas neighboring PJM, Southern Company, or  
21 TVA or anyplace surrounding PJM means that MISO  
22 suppliers of uncommitted capacity could be making  
23 bilateral sales elsewhere, could be driving it.

24 In addition, there are other directions they  
25 can go in and sell their capacity, so the question is

1 where you have to establish a reasonable opportunity  
2 cost that applies to all the resources recognizing that  
3 there are many other opportunities that are going to be within  
4 or below that that reference level that you do  
5 not want to foreclose by mitigating MISO capacity to sub-competitive  
6 levels.

7 DR. SOTO: Thank you, and Mr. Dauphinais, you  
8 had your tent up?

9 MR. DAUPHINAIS: There are theoretically  
10 other replacement capacity sales opportunities to --  
11 within MISO itself and to other markets.

12 However, the problem is where is the evidence  
13 of a significant volume of that and where's the  
14 evidence that the price for those sales are anywhere  
15 near the level of the replacement capacity deficiency  
16 charge in PJM.

17 That is the problem. We need legitimate and  
18 verifiable opportunity costs and we don't have the  
19 evidence showing that there are legitimate and  
20 verifiable other replacement capacity opportunities of  
21 significant size besides the PJM replacement market at  
22 which bilateral market and as we have seen that is a  
23 small market in itself because of transmission  
24 limitations.

25 MR. MCCULLOUGH: We do not have to accept the



1       hypothetical, but they may be out there.

2                   We can actually go check the transactions on  
3       a transaction by transaction basis.

4                   Pulling up the most recent data, this is the  
5       second quarter of 2015 delivery points are Illinois,  
6       Illinois, Illinois, Illinois, Illinois, Missouri  
7       Illinois, Illinois and Illinois.

8                   This is not a huge export to the Southern  
9       Company. I am not going to pretend that the data is  
10      perfect, but I will tell you the predominance of  
11      evidence from the data that has been there now for  
12      several years is that this is a very localized market.

13      10

14                  DR. SOTO: Dr. Patton, have you considered  
15      moving away from basing initial reference level on  
16      replacement capacity sales into PJM, that is, given  
17      delivery constraints and limited demand for replacement  
18      capacity in PJM?

19                  DR. PATTON: We have talked about this some is --  
20      I think a better measure of opportunity costs would be the  
21      forward capacity prices which we have been pursuing,  
22      but there is not a good source of data for that.

23                  That data tells you what buyers are actually  
24      willing to pay and what the transactions are clearing  
25      in in PJM and MISO.

1           We continue to believe that that would be a  
2       better approach. We thought we had of a source of that  
3       data last year and we are hoping we can secure it this  
4       year.

5           DR. SOTO: Thank you. Mr. Dauphinais.

6           MR. DAUPHINASIS: The problem using forward  
7       trading data is that those are not really foregone  
8       opportunities in the planning resource auction.

9           The planning resource auction occurs a few  
10      months before the planning year. The forward  
11      transactions are created well before that.

12           No market participant is giving up the  
13      opportunity to make sales in the planning resource  
14      auction if they believe the opportunity is better to  
15      make a forward transaction. In fact, most capacity  
16      transactions in MISO are forward bilateral  
17      transactions.

18           But those are not lost opportunities because  
19      they are made well in advance of the planning resource  
20      auctions with a difference in timing is one issue.

21           The other issue is you are really not  
22      foregoing the opportunity to do the planning resource  
23      auction because you are taking a better opportunity by  
24      doing the bilateral transactions.

25           I do not view, and as I have explained in the

1 affidavit, I do not view the forward transactions as  
2 being lost opportunity cost for the planning resource  
3 auction.

4 DR. SOTO: Thank you. Dr. Patton.

5 DR. PATTON: Yes, the forward markets  
6 continue to trade over time. There are both planning  
7 year transactions and balance of the planning year  
8 transactions even after you are into the planning year  
9 that are quoted.

10 The opportunity to sell bilaterally doesn't  
11 go away at the time the planning resource auction takes  
12 place.

13 The potential problem is that we have to  
14 establish the reference level a certain amount of time  
15 ahead of the planning resource auction posted, get  
16 comments per the MISO tariff, so we can't wait until  
17 the date of the planning resource auction to get that  
18 data and set the reference level.

19 MR. DAUPHINAIS: What Dr. Patton is referring  
20 to, yes, the forward transactions that you are doing  
21 for the balance of the planning year, so I would call  
22 those -- what I was referring to as replacement  
23 capacity transactions within MISO.

24 Those do conceptually exist. I am sure they  
25 do occur in some level, but again, what we get back to

1 is we have no evidence of there being much depth in  
2 those or what the prices of those.

3 We are back to the question of legitimate and  
4 verifiable opportunity costs and we just do not have  
5 any evidence that supports at this time that those  
6 transactions are significant in volume or that they  
7 carry the same price as was seen in the capacity  
8 deficiency rate at PJM.

9 DR. SOTO: Thank you. Mr. McCullough.

10 MR. MCCULLOUGH: Now we have the chicken and  
11 the egg, the problem is that most of these capacity  
12 forward transactions are now well reported.

13 It's not a very deep market. It's not  
14 something we can look up every morning in Platts Energy  
15 Trader, and Megawatt Daily, I guess it has been renamed  
16 which actually drives our capacity price.

17 If I report to Megawatt Daily that I had such  
18 a transaction and if they had an ongoing index, then  
19 Dr. Patton would identify that as appropriate reference  
20 price.

21 MISO has basically a number of centralized  
22 utilities vertically integrated.

23 HHI's across the entire MISO footprint are  
24 high. Zone 4 is interesting because it is the  
25 exception.

1                   We have a merchant who is not totally  
2 vertically integrated, so what would occur is a large  
3 player could make that transaction show up in Dr.  
4 Patton's database that developed the reference price  
5 and then that dominant player would actually bid to it.

6                   I am not assuming anyone would do this, but  
7 obviously we have a history of people bowing to  
8 temptation, so I would like something that was a little  
9 deeper and a little better document.

10                  DR. SOTO: Thank you. Dr. Patton?

11                  DR. PATTON: He is right that forward quotes  
12 in MISO in areas where the entity that you potentially  
13 are mitigating can affect the quote would be  
14 problematic so we were actually exploring the forward  
15 quotes for exported capacity and not for capacity in  
16 Zone 4.

17                  DR. SOTO: Dr. Patton, do you have an  
18 historical estimate of what percentage of megawatts  
19 offered in the auction have been at an initial reference  
20 level of higher?

21                  DR. PATTON: That question was not in your  
22 notice! I don't. Sorry.

23                  DR. SOTO: We want to keep things moving  
24 along.

25                  DR. PATTON: I could have lively.

1 DR. SOTO: You can add that detail to the  
2 comments if you want to. Thank you.

3 MR. DAUPHINAIS: I would indicate for the  
4 2014-2015 and 2015-2016 planning resource auctions.  
5 I think that is derivable actually from the publicly posted  
6 file from MISO on the details of the planning resource  
7 auction.

8 We will do our best also to get those numbers  
9 which I am sure we are very close to Dr. Patton's.

10 DR. SOTO: Thank you, yes, that is great to  
11 get all of that in the record.

12 If the vast majority of offers, and this is  
13 for Dr. Patton, are well below the initial  
14 reference level, how is the initial reference level  
15 reflection of the actual opportunity costs available to  
16 suppliers in MISO?

17 DR. PATTON: Yes, so there is a variety of  
18 things there. For one, suppliers have different incentives in  
19 MISO, and they, in part, due to the way that they are  
20 regulated, and recognizing that there is competition among  
21 uncommitted supply, to the extent that you want to get  
22 your capacity sold and outcompete other suppliers, you  
23 may have an incentive so to lower your offer.

24 To the extent that you keep very little, if  
25 any, of the profit from the off-system sales year, we

1 routinely see MISO participants act far less  
2 aggressively in maximizing their profits than we would  
3 expect. Those are just things just off the top of my  
4 head.

5 DR. SOTO: Just because they are different  
6 regulatory systems?

7 DR. PATTON: That is one factor.

8 DR. SOTO: Mr. McCullough.

9 MR. MCCULLOUGH: So 2015 - 2016, we had  
10 high-priced bids from exactly two individuals, they are  
11 both Dynergy subs, but the only other high priced bid  
12 was DT Energy Trading.

13 What we have is a market that is primarily  
14 being bid at very low prices.

15 Union Electric, bid at 50 for example, and  
16 many of the rest are one cent or \$1.00, so what we have  
17 is a situation where that price curve is being set  
18 effectively by very few players.

19 DR. SOTO: Anything else that the rest of the  
20 panelists for us? Mr. Bladen?

21 MR. BLADEN: It's important to think a little  
22 bit about how load servers are actually going through  
23 the process of procuring their capacity because while we  
24 are talking about an auction that occurs just a few  
25 months ahead of the delivery year, as was noted by one

1 of the other panelists earlier, the vast majority of  
2 capacity is procured in advance and on a bilateral  
3 basis.

4 The degree to which capacity is procured in  
5 advance, it would be at prices that are bilaterally  
6 negotiated and reflect the participants themselves  
7 view of the value and the degree to which capacity is  
8 or is not procured bilaterally in advance and offered  
9 for self scheduled into the auction, that that will also  
10 make a material difference in how the auction itself is  
11 priced.

12 As anyone who has tried to buy milk at 2  
13 o'clock in the morning from a convenience store knows  
14 that buying it there is going to be more expensive than  
15 buying at the supermarket when it's on sale.

16 It's important to think about the dynamics at  
17 play and the recognition that the opportunities to buy  
18 can be limited at times, the opportunities to sell can  
19 be limited at times, but the opportunity itself  
20 existing is what will often drive the price up or down.

21 DR. SOTO: Dr. Patton?

22 DR. PATTON: Yes, that is an extremely  
23 important point. There is nothing that requires that  
24 the capacity be scheduled in advance of the PRA, so to the  
25 extent that arrangements have been made for capacity,



1 the suppliers are free to self schedule that capacity.  
2 Effectively what it would look like is a purchase, a  
3 simultaneous purchase and sale of capacity in the PRA  
4 in which case I would expect them to offer very close  
5 to zero.

6 DR. SOTO: Thank you. Our next set of  
7 questions is on the alternative ways to measure the  
8 opportunity of costs.

9 The IMM has stated that it will look to  
10 bilateral sales as a measure of opportunity cost for  
11 initial reference levels, but has been unable to secure  
12 the data.

13 Dr. Patton, would it be appropriate to use  
14 bilateral sales to regions outside of MISO rather than  
15 using PJM's stated deficient fee charge?

16 DR. PATTON: It is actually preferred because  
17 some of the potential issues that we have talked about  
18 previously that you're -- you don't want the participants  
19 that you are mitigating to have an influence over, the  
20 metric that you're using for their reference level.

21 We do think on a short and long-term basis  
22 that the capability exists to export past the PJM and  
23 that is the most valuable opportunity.

24 Looking at the forward capacity the values in  
25 PJM is a good approach.

1 DR. SOTO: Do any of the other panelists have  
2 anything to add?

3 MR. DAUPHINAIS: As I indicated earlier,  
4 there are problems using forward capacity trades that occur  
5 before the planning resource auction because those are  
6 not really lost opportunities to participate in the  
7 planning resource auction.

8 The opportunity can be chosen if the market  
9 Participant wants to choose it and take advantage of it.  
10 It is not really a lost opportunity cost for participation in  
11 the planning resource auction.

12 I would also caution that one of the fall  
13 outs of results of the 2015-2016 planning resource  
14 auction is that it has driven up bilateral prices for  
15 capacity in MISO and has done that because the  
16 expectation is, unless the market rules change we could  
17 have a rerun of 2015-2016 and 2016-2017 which is  
18 something that I -- at least I'm very concerned that  
19 it may happen and I believe the market believes will happen.

20 We want to be careful we're not using data that  
21 is really just a fallout of 2015-2016 planning resource  
22 auction results which have serious questions associated  
23 with them.

24 MR. MCCULLOUGH: At the risk of being snarky,  
25 and I apologize Dr. Patton, quoting you, because there

1 are significant barriers from MISO area generation to  
2 participate in the PJM RPM including access to  
3 long-term firm transmission service into PJM.

4 That is one of the reasons he put for using  
5 the current method.

6 I realize this is a debate about whether they  
7 seem to be working or not, but I think the general market  
8 perception is they are not.

9 I think the data we see indicates they aren't.

10 In this case it is simply conjectural to use  
11 PJM for MISO.

12 MISO is a different area. It is a different  
13 resource mix. It is certainly a different growth rate.

14 If any of you have been to Southern Illinois  
15 recently, you will notice that very quickly. So what we  
16 are doing there is simply gluing another region's data  
17 to a data that is entirely different generation mix,  
18 growth rates, et cetera.

19 The right answer is, unless we want to have a  
20 nationwide capacity market, not necessarily a bad idea,  
21 is to recognize that we have differences in regions and  
22 we would like to incentivize industry to move from PJM  
23 to Illinois because quite bluntly, Illinois is surplus,  
24 and would love to see it.

25 I hope my client is listening to that. Good.

1 DR. NICHOLSON: Mr. McCullough, could you  
2 clarify at document you were reading from when quoting  
3 Dr. Patton?

4 MR. MCCULLOUGH: Sorry, this is the initial  
5 reference level for zonal reserve offers 2015 - 2016  
6 delivery year and that is from Dr. Patton's firm.

7 DR. NICHOLSON: Thank you.

8 DR. SOTO: Mr. Daughiniais?

9 MR. DAUPHINAIS: That was actually submitted  
10 as one of the attachments to my initial affidavit. My  
11 original affidavit.

12 DR. SOTO: Thank you. Mr. Bladen.

13 MR. BLADEN: I will not be snarky, so I will  
14 do my best to stick to the facts as we know them.

15 I also want to make sure that we think about  
16 fundamentals when we think about how prices fall out of  
17 these auctions.

18 I mentioned a minute ago bilaterals are the  
19 primary way that loads are buying and paying for and  
20 supplying capacity to meet their reliability  
21 requirements, but when you look at the auctions, and  
22 you look at the rules, and how the rules reference  
23 levels or other rules affect price outcomes, it is  
24 noteworthy to look just at the most recent two auctions.  
25 And where you had prices that were materially different,

1 it is important to think about what were the  
2 fundamental changes and why did we have prices that are  
3 fundamentally different?

4 When you look at that, you realize that the  
5 reference levels were pretty similar. The transfer  
6 capacity was pretty similar. Auction offers were  
7 pretty similar with some key exceptions.

8 The amount of demand that attempted to buy  
9 capacity in the most recent auction was dramatically  
10 higher than had occurred in prior auctions particularly  
11 the most recent year before that.

12 When you have a dramatic increase in demand,  
13 and we have not talked about that at all, but nearly  
14 three times more demand attempted to buy capacity  
15 in the most recent auction than the prior auction,  
16 inevitably, it ought to be impacting price in any  
17 market that you would think is competitive.

18 DR. SOTO: Thank you and thank you for your  
19 self-restraint on the snarkiness!

20 Right, and here I am just one unscripted  
21 remark away from being back in the private sector! So  
22 I appreciate that!

23 MR. DAUPHINAIS: If I can respond to Jeff a  
24 little bit. I do not want his remarks to be left as an  
25 impression that load decided the float in the market

1       this time around in 2015-2016 and that's what drove  
2       this.

3               I think it is important to realize that to do  
4       four bilateral transactions requires not just that  
5       the buyer be willing to do it, but the seller be willing  
6       to do it.

7               We have had a major change in ownership just  
8       before the 2014-2015 auction. There would have been  
9       leftover long-term bilateral transactions probably  
10      prior to that acquisition generation in Illinois and  
11      those long-term transactions, some of those may have  
12      rolled off just before the 2015-2016 auction.

13              That alone can contribute to a situation with  
14      a lot more of the planning resource margin requirement  
15      in Local Resource Zone 4 having to be drawn from  
16      planning resource auctions.

17              It is not necessarily a decision by load  
18      alone that that happens and we also did have  
19      significant changes in the way price of capacity was  
20      offered within Local Resources Zone 4 in 2015-2016  
21      versus 2014-2015.

22              DR. SOTO: Thank you. Before we were talking  
23      about bilaterals with other regions outside MISO.

24              What about bilaterals within MISO regions or  
25      were you thinking about that in your previous answer

1 too?

2 DR. PATTON: There are some problems of using  
3 bilaterals in MISO, one of which is the problem that we  
4 have talked about a couple of times which is if you  
5 have a reference level methodology that is based on a  
6 small number of bilateral transactions in various areas  
7 in MISO, then the participants that you are  
8 mitigating, subject to the reference level, are going to  
9 be able to influence the reference level.

10 Additionally, you will hear more about this  
11 later.

12 There are clear flaws in the MISO capacity  
13 market that you probably read me with about that influence  
14 the prices in MISO. To the extent that an uncommitted  
15 supplier can get away from the market design that has  
16 been, to plot on them, I think that's clearly the better  
17 measure of their opportunity than MISO.

18 In that regard, that is one thing we have to  
19 really be careful of that we don't use market power  
20 mitigation to not mitigate market power but instead  
21 drive capacity prices to the unreasonably low levels  
22 that our market design seems to dictate.

23 DR. SOTO: Thank you. Mr. Dauphinais?

24 MR. DAUPHINAIS: One thing is we need to  
25 remember the scope of what was raised in the complaints

1 of the proceedings so getting into major changes in  
2 market design along the lines of Dr. Patton is bringing  
3 up -- really kind of go beyond of what the scope of  
4 the complaints were.

5           What I would know at least in the relief that  
6 was requested in the L-1582, that relief still allows  
7 specific reference levels to be requested for  
8 generators based on the going forward cost as with a  
9 deduction for energy and ancillary service market  
10 revenues.

11           So that there is a method, an approach, to  
12 get a reference level based on a specific generator's  
13 marginal cost without opportunity cost in it.

14           Making this change, removing opportunity cost  
15 at least for the 2016-2017 auction from the reference  
16 level, would not necessarily lead to price suppression  
17 because market participants can request a specific  
18 reference level.

19           I will note that we have taken a look at it  
20 and there are only 26 market participants of the  
21 2015-2016 auction that offer an offer price in excess  
22 of 10% of the cost to new entry which would be the  
23 entities where if they want the communal offer at  
24 such levels would have to seek a specific reference  
25 level.



1 DR. PATTON: I was just going to make a point  
2 that basing reference levels on going forward costs  
3 basically makes the determination that opportunity  
4 costs are not relevant and removes those from the  
5 reference level which is hard to justify under any  
6 reasonable economic theory.

7 If you cannot do that, then you have to keep  
8 opportunity costs in there and one of the risks  
9 of understating the reference levels, you push  
10 participants to making exports before the PRA and  
11 simply not being available in the PRA.

12 Certainly, we see a lot of that, the quantity  
13 of capacity that is flinged at PJM is large, but you do  
14 not want your market power mitigation measures to  
15 motivate more of that and take that supply preemptively  
16 out of the PRA.

17 DR. SOTO: Thank you. We should keep this to  
18 an opportunity cost right now, so do you have comments  
19 about that?

20 MR. MCCULLOUGH: I was going to focus on  
21 analyzing the go ahead costs, is that appropriate?

22 DR. HYDE: We are going to talk more on that  
23 in the next panel.

24 MR. DAUPHINAIS: Let me get my thoughts  
25 together again. With respect to -- sorry, I have lost

1 it unfortunately.

2 DR. SOTO: You will have plenty of  
3 opportunity to talk more about this. Back to you, Dr.  
4 Patton.

5 Data about bilateral contracts publicly  
6 available, and if not, what step could MISO, the IMM of the  
7 Commission take, to improve the availability of this  
8 data in order to allow this to be used for opportunity  
9 costs?

10 DR. PATTON: I'm not sure what I would say to  
11 that. The value of capacity varies quite a bit as you  
12 have seen in all of these capacity markets.

13 I have always favored using the prices the  
14 capacity is trading at, you know, quoted now for delivery  
15 in the in the future planning year, I think,  
16 unfortunately most of the actions I can think of that  
17 FERC could take would improve the availability of historic  
18 trade data which may tell you what capacity was worth a year ago,  
19 but I'm not sure what's a good measure of what it's worth  
20 in the upcoming planning year.

21 There might be a way for you to get your  
22 hands on it through CFTC or somebody on trade data that  
23 is related to delivering in the upcoming planning year,  
24 but I'm not sure about that.

25 If you did it through them, then I am pretty

1       sure you can't share it with us.

2                   MR. BLADEN:  If it is not obvious, we  
3       certainly at MISO staff work closely with the IMM to  
4       think about these questions and depend on the expertise  
5       we have in our market honors, and Staff as well.

6                   As you deal with the bilateral market there  
7       is an extraordinary number of variables that you  
8       probably would have difficulty unwinding in the nature  
9       of bilaterals to try and think about how you might use  
10      them to reflect opportunity costs.

11                  For instance, if you had a 20-year bilateral  
12      for capacity that was at some fixed level over the  
13      course of the 20 years.

14                  Does that reflect the single-year opportunity  
15      costs that someone might face in a year that maybe  
16      had some scarcity as it was approaching, but maybe  
17      somebody in the 20-year bilateral as a way to avoid the  
18      scarcity.

19                  When you think about these questions you are  
20      also dealing with were the transaction sufficiently  
21      arms length such that they were competitive in nature.

22                  Not to suggest that there are not ways you  
23      might look at this, but it would be very difficult to  
24      unwind these external factors from the nature of  
25      short-term opportunity to actually transact for a

1 particular part of MISO for a particular year.

2 DR. SOTO: Thank you and before I continue,  
3 moderator, how are we doing with time? Do we  
4 need to move it quicker?

5 DR. HYDE: You are a little short. You may  
6 have to dump the last couple questions or one question  
7 at least.

8 DR. SOTO: Yes, given that we are short on  
9 time let's go very quickly to Dr. Patton. Are there  
10 any other reasonable alternatives to measure opportunity  
11 costs?

12 DR. PATTON: Yes, the various forms of  
13 bilateral data would be the only thing that comes to  
14 mind.

15 The PJM market is the most valuable  
16 opportunity and it's also the most transparent in terms  
17 of data availability.

18 You can imagine other sales that folks could  
19 make, but it would be tenuous. You could imagine  
20 people wheeling through PJM and selling in New York or  
21 around through Ontario, but it is hard to imagine that  
22 that would be superior.

23 DR. SOTO: Thank you. Now that we have the  
24 measurement of opportunity costs out of the way and we  
25 know some facts about that, let's talk about whether

1 the clear market decent has created the right  
2 incentives for investment.

3 This is a broad question that I ask of all  
4 the panelists which is the current mitigation paradigm  
5 in market design creating the right incentives for new  
6 capacity to come in for retaining all capacity into the  
7 market.

8 Just raise your hand if you want to start.

9 DR. PATTON: That is a fantastic question!

10 DR. SOTO: I do want to point out that we are  
11 short on time.

12 DR. PATTON: Interestingly, I posed the  
13 question to the board in MISO and to MISO participants.

14 Is it the objective of the MISO capacity  
15 market, in combination with the energy and ancillary  
16 service markets, to facilitate efficient investment and  
17 retirement decisions?

18 Half the room looked at me and said, no, and  
19 the other half said, "I am not sure," and so I said,  
20 "Surely, FERC had said that this is the design  
21 objective of this market because you have to have some  
22 objective if you're going to judge whether something is  
23 just and reasonable, right?"

24 I found that FERC was very clear in New  
25 England and in New York that that was the design

1 Objective, probably PJM.

2 FERC has never said that, that that is the  
3 design objective in MISO which is devastating to this  
4 region, I mean, we have a wholesale market.

5 We have a shrinking supply because of  
6 retirements prompted by environmental regulations.

7 We have a wholesale market that could  
8 facilitate satisfying the requirements, but it can't  
9 and it cannot because of the vertical supply curve.

10 The representation of demand, MISO is the  
11 buyer, and we then buying in ways that are irrational  
12 when you look at what the reliability value of capacity is.

13 It would be a fabulous thing for FERC to say,  
14 "This is the design objective and we are not sure of  
15 the current market is satisfying it, so do come up with  
16 something."

17 You do not even have to even mandate, a slope demand  
18 curve like you did in New England, but we need something better.

19 MR. DAUPHINAIS: The subject is introduced.  
20 A couple of things. First, it is important and that is  
21 an important question whether the MISO market is  
22 facilitating.

23 You have to take into consideration with the  
24 nature of the MISO market in the amount of regulated  
25 states, that is nearly all states except Illinois

1 are regulated, so it is a little different, very  
2 different than a lot of the RTO's and that has to be  
3 considered.

4 Those questions, while they exist and should  
5 be pursued through the stakeholder process, MISO and  
6 through other forms, it is important that they not  
7 overshadow the pressing need that was sought for relief  
8 in the complaints, and in particular, in EL-1582,  
9 Illinois Industrial Energy Consumers, which is we need  
10 relief for 2016-2017 to address a problem that is  
11 happening with regard to setting reference levels and  
12 the ability of potentially market participants to take  
13 advantage of that to get higher prices than they  
14 otherwise get.

15 That needs to be addressed.

16 These other questions will need to be  
17 debated, but with the best place to do that is in the  
18 stakeholder process or through other forums, so that's  
19 what are encouraged.

20 I will add to that, if you look at the  
21 history of the MISO market, it has worked for capacity  
22 principally on a bilateral basis and also self supply  
23 basis, but it generally has worked.

24 I can tell you not only industrial energy  
25 consumers, they are members of that group are in retail

1 access state.

2           They have to constantly face the  
3 possibilities of high market prices if they could take  
4 a pass and you are planning a new resource auction, they  
5 have the ability to contract with capacity three to  
6 five years in advanced and many of them do.

7           They do recognize and weigh their options.  
8 Because there are incentives of the risk of high prices like  
9 we saw in 2015-2016, there is an incentive for them to  
10 bilaterally contract and it is bilateral contracting  
11 that is going to provide the foundation for financing  
12 for new generation.

13           DR. SOTO: Thank you. Now, Mr. Bladen?

14           MR. BLADEN: It is a difficult question to  
15 answer and ultimately FERC has to judge, "Is that the  
16 right design objective?" as Dr. Patton recently pointed out.

17           What I want to note is that the design  
18 objective today to deliver reliability outcomes through  
19 ensuring sufficient resource adequacy year in and year  
20 out which it has, and the degree to which it is  
21 depended upon to send investment signals, efficient  
22 investments signals, is intertwined with the regulatory  
23 frameworks in each of the individual states, and MISO  
24 is committed to working with our stakeholders and with  
25 the states to ensure that we are getting both the



1 reliability outcome and the efficient investment that  
2 is needed for the region based on particulars of the  
3 states regulatory construct.

4 I will point out that we actually are engaged  
5 with the State of Illinois. There is a policy forum.

6 The Illinois Commerce Commission is  
7 convening in a few weeks that we will be actively  
8 participating in to work with them on thinking through  
9 some of these questions as to what's needed in Illinois  
10 in that instance as a nexus with how we pursue this  
11 question of efficient investment and capacity markets.

12 DR. SOTO: Thank you. Dr. Patton?

13 DR. PATTON: Just a quick comment in context  
14 on the prices that we actually saw in MISO.

15 First, what is important to recognize is  
16 having an efficient wholesale capacity price does  
17 nothing to interfere with the state's ability to ask  
18 their utilities to build it.

19 In fact, it reduces risk for their customers  
20 because the building is lumpy and they routinely  
21 overshoot because they want to make sure they have  
22 enough capacity and it would provide a market for them  
23 to sell it back to you so it doesn't all just in retail  
24 rates.

25 In the long run it would definitely be

1       beneficial even to the regulated entities and to the  
2       extent that it facilitated efficient decisions to build  
3       and retire by IPPs, that is a source of supply that can  
4       only lower costs for MISO's customers.

5                 With regard to the prices because you were  
6       asking about whether it facilitates sufficient prices,  
7       I think the comment I would make is, if you asked me  
8       what prices are reasonable and unreasonable, I would  
9       say that Zone 4 is the only one that was reasonable  
10      coming out of this auction.

11                Clearly, our market design doesn't dictate a  
12      \$150 price, but if we got to the point of  
13      purchasing capacity rationally, \$150, \$155 of a  
14      megawatt day is something like two thirds of the cost  
15      of building a unit in a climate where we are  
16      approaching capacity efficiencies because of retirements.

17                If you were to look at what would happen in  
18      New York or New England or PJM if capacity levels  
19      dropped to the level that they are at at MISO, in all of  
20      those markets we would get prices in that range.

21                What you need to ask yourself is, are all the  
22      other prices that are prices that are close to zero  
23      reasonable?

24                DR. SOTO: Is there any comment from the  
25      other panelists? Mr. McCullough?

1           MR. MCCULLOUGH: Here we have a philosophic  
2 difference, and then I am going to be alone on the  
3 panel. I still live in the largest energy market in  
4 the world known as "the West," where we have none of  
5 these.

6           We are a vibrant capacity market and we  
7 always have. When I was a child I can remember selling  
8 capacity to California from Portland, Oregon.

9           The fact of the matter is we're going to win  
10 or lose on the bilateral market.

11          The Eastern capacity markets have been  
12 volatile and often inexplicable and it is important for  
13 a load serving entity to be able to look ahead.

14          He is going to want as many options as  
15 possible. He is certainly not going to want a one-year  
16 option which is good for clearing surpluses and  
17 deficits, but not very good for planning.

18          He certainly is going to be making his own  
19 estimates. Now if we had a vibrant bilateral market we  
20 would then find it on Nymex and then we would have the  
21 best of all possible estimates.

22          Attempting to jumpstart these things by Dr.  
23 Patton's assumption of the outcome, and by the way, it  
24 is probably pretty good, but that simply puts him in  
25 charge of the Midwest and it puts us in charge of the

1 Midwest if we agree with him.

2 The fact of the matter is we are usually not  
3 very good forecasters.

4 The right answer is to actually look to that  
5 bilateral market for being most of the outcome and then  
6 just have this capacity market in effect balancing the  
7 surpluses and deficits.

8 I know I'm in a minority here except if we go  
9 by square miles from megawatts, I've got some advantage.

10 But the philosophic belief that regulators or  
11 even market related regulators turn out to be better  
12 than markets doesn't have much of a track record.

13 Please don't let us let Dr. Patton set  
14 the price for the entire Midwest in spite of the fact  
15 that I thought your analysis was just fine. Thank you.

16 DR. SOTO: Thank you. Mr. Daughiniais. Did  
17 you raise your tent?

18 MR. DAUPHINAIS: I will pass.

19 DR. SOTO: Thank you. Then that brings us to  
20 the end of the panel. This was very productive and was  
21 an enlightening conversation.

22 I thank our panelists for being here today  
23 especially Mr. Bresler who endured a lot of questions  
24 in the beginning. You all provided a great deal of  
25 information and insights.

1                   Thank you again and I will now pass the mic  
2                   to Dr. Hyde our moderator.

3                   DR. HYDE: Thank you everybody. That was a  
4                   great panel. How about if we take a ten-minute break  
5                   and come back for Panel 2 and hopefully we can keep  
6                   this going and if you didn't like some of the questions  
7                   you got already, you will like some of the other ones.  
8                   There is something for everybody here.

9                   (After a recess on resuming.)

10                  SESSION 2:

11                  Alternatives to the Current Mitigation  
12                  Procedures and Reference Level Calculation.

13                  DR. HYDE: Thank you all for coming back  
14                  promptly from your break. We will now begin the second  
15                  of our panels relating to mitigation topics.

16                  Let me introduce our panelists now.

17                  We have Jeff Bladen from Market Design from  
18                  ISO again.

19                  Dr. Renuka Chatterjee for Resource Adequacy  
20                  from ISO.

21                  Dr. David Patton for the Independent Market  
22                  Monitor.

23                  Mr. Ali Al-Jabir speaking on behalf of  
24                  Illinois Industrial Energy Consumers.

25                  Mr. Robert McCullough speaking on behalf of

1 Illinois Attorney General's Office.

2 Dr. Roy Shanker speaking on behalf of EPSA.

3 Thank you all for joining us today. In this  
4 session we are focusing on various alternatives in the  
5 application of mitigation in the MISO auction.

6 We will be discussing a wide range of  
7 alternatives including some that could be accomplished  
8 under the current tariff and others that would take  
9 more time to implement.

10 Some of the alternatives are mutually  
11 exclusive. Virtually all of my questions will go to  
12 all the panelists.

13 First, we will focus on measurement of  
14 opportunity cost and the calculation of the initial  
15 reference level and the facility's specific reference  
16 level.

17 The initial reference level is the default  
18 reference level for capacity offers and is used in  
19 mitigation unless the market participant has an  
20 approved facility specific reference level.

21 We will discuss what the appropriate  
22 opportunity cost is when there are transmission  
23 limitations or limitations on the demand for that  
24 capacity in the neighboring region.

25 We will be focusing on when MISO sellers, as

1 a whole in a zone, cannot feasibly transport or sell  
2 all of their uncommitted capacity within those zones to  
3 the neighboring region. In that case, should potential  
4 transmission or sales from the zone to the neighboring  
5 region be used to determine the opportunity cost for  
6 all the capacity in that MISO zone.

7 In the alternative, should the sale to the  
8 neighboring market be used as the opportunity cost net  
9 of transmission charges only for the megawatts that the  
10 sellers as a group can feasibly transport and sell to the  
11 neighboring region with a lower opportunity costs  
12 associated with different alternatives applied for the  
13 market's remaining capacity.

14 Let me give you an example.

15 Assume the PJM capacity deficiency rate less  
16 the transmission charges is the opportunity cost under  
17 consideration.

18 Suppose capacity sellers would like to sell  
19 3,000 megawatts of capacity, but only have 500  
20 megawatts that can be sold in the PJM because of  
21 limited need for replacement capacity there and or  
22 transmission limits to getting the capacity there.

23 Under these assumptions to what extent  
24 without changes to other market rules, could the  
25 opportunity cost associated with sales to the alternate

1 market be seen as the opportunity cost for all  
2 resources in the initial reference level calculations.

3 Dr. Patton, can you lead us off?

4 DR. PATTON: I mentioned this earlier. I do  
5 not view A quantity as something that works its way into  
6 the reference level, that if the opportunity is  
7 material and exists, then you have to allow all of the  
8 suppliers to have the ability to pursue the opportunity  
9 because in reality until you run the auction, you don't  
10 know which suppliers have a range to sell their  
11 capacity to somebody else already and which ones are  
12 interested in pursuing that opportunity and the  
13 mechanism by which you apply the reference levels you  
14 apply it at the time of the auction and the mitigation  
15 occurs at the time of the auction.

16 In your example, the 500 and the 3000, all the  
17 3,000 MW would get the initial reference level and then  
18 you would expect some of that 3,000 to sell into PJM  
19 and some perhaps to export other places or sell to  
20 others.

21 DR. HYDE: Does anyone else want to react to  
22 that? How about Dr. Shanker. We have not heard from  
23 you yet.

24 DR. SHANKER: I could say what David said,  
25 but it is even more integrated than that.



1           One of your premises was to assume no changes  
2           in the market rules and I think the market rules  
3           themselves are very pertinent here.

4           You have very strong vertically integrated  
5           market. You have a 01 vertical demand curve that makes  
6           things an inelastic demand and you have a close to an  
7           inelastic supply the way things are working.

8           One of the good things about the reference  
9           price is it tends to give a little shape to the supply  
10          curve to make up for some of the deficiencies in the  
11          market and collectively those things complement each  
12          other and they also complement what David said which is  
13          that you're seeing the market opportunity cost out  
14          there displayed for everyone and it is a transparent  
15          price signal.

16          It goes with, I guess it was David, it would  
17          be really nice to see an explicit attract new entry, retain  
18          existing entry that is economic as an explicit  
19          objective function.

20          What we were talking about in this kind of a  
21          reference price or initial reference price does exactly  
22          that, it is adjacent to a viable market where the  
23          Commission itself has already recognized endogenously  
24          opportunity costs as being the right measure.

25          All of these things sort of fit together, and in

1       this case, it does go with the rest of the design,  
2       although I would like to see the rest of the design a  
3       little bit different.

4                 DR. HYDE: Thank you. Mr. Ali-Jabir?

5                 MR. ALI-JABIR: Thank you for the opportunity  
6       to speak.

7                 From our perspective, it is important to  
8       recognize that if you are dealing with a market that  
9       has an oversupply situation, that it exists in Illinois  
10      is Zone 4, we do not want the reference level to  
11      be used in a way that masks that oversupply situation.

12                If you have a reference level that is  
13      effectively providing safe harbor for folks to elevate  
14      their prices to unreasonable levels that are  
15      inconsistent with the fundamental supply and demand  
16      balance that is in that zone, then that is not a proper  
17      implementation of that reference level. So you really  
18      need to have a situation where the reference level is  
19      based on a lost opportunity costs that is legitimate  
20      and verifiable, but also that is able to effectively  
21      absorb the excess supply both in terms of the depth of  
22      the market and also the ability to export power out of  
23      MISO into PJM to absorb that level of excess supply.

24                What you should see, according to the normal  
25      laws of supply and demand, is that prices in that zone

1       should be fairly low and not anywhere near the levels  
2       that we saw in the last auction.

3               MR. MCCULLOUGH: I would like to  
4       operationalize my answer and give you computational  
5       process.

6               The first issue is MISO already determines  
7       import and export limits zone by zone. The data is  
8       available.

9               The explicit export to the PJM number is part  
10      of that hidden somewhere deep in the vastness of the  
11      calculations and needs to be pulled out and made  
12      explicit.

13              If it really thousands and thousands of  
14      megawatts we need to change the Zone 4 -- well, all  
15      the zone calculations because they will all be wrong.

16              The point of the matter is we are not going  
17      to decide that today. That is a determinable number  
18      and that should be the start of the process.

19              Second, what really is the market in PJM? It  
20      is nice to have hypotheticals, but the reality is we  
21      have numbers and the number we should use would be for  
22      the corresponding transactions for the similar time  
23      period.

24              To some degree, we can use the EQR data and I  
25      would actually like to use better data than that even.

1           The fact is we don't have to assume the  
2           answer. We can actually look it up. Let us say that  
3           we have the number and let's say that in 2015-2016 it  
4           is \$25 and our export limit is 400 MW.

5           Then that really is the limit of the entire  
6           issue and we know that the surplus in Zone 4, in fact,  
7           the surplus throughout MISO dwarfs this.

8           We simply would have exhausted that  
9           opportunity and the market would have moved on.

10          The fact of the matter is it is nice to have  
11          six wise men opine on a hypothetical. But the reality  
12          is we actually have numbers and we should use them.

13          DR. SHANKER: Maybe David can add an  
14          empirical flavor to this.

15          The binding constraint based on my  
16          understanding, though, there are two LCRs in play.

17          Is it local capacity requirement, is PJM's  
18          New York, or whatever, it is the equivalent in MISO was  
19          the constraining feature in this auction and the supply  
20          while surplus everything above the default value was  
21          mitigated through the market monitor.

22          You had a mitigated supply curve, some  
23          portion of which was set indeed at the opportunity  
24          cost, some in excess and yet an endogenous constraint  
25          on net requirements for import and export leading to a

1 local capacity requirement, LCR, in the zone that  
2 bound.

3 I heard what Robert said, but it's a non  
4 sequitur in terms of the clearing dynamics that set the  
5 price.

6 The Market Monitor in his affidavit explained  
7 That. And I think MISO did actually in quite a bit of detail, and I  
8 am not seeing where the surplus sounds good, but in  
9 terms of the requirement for what was needed within the  
10 zone given the constraints was the binding constraint  
11 and the supply curve crossed the \$150. And all of those  
12 prices were subject to mitigation either through the  
13 default offer cap or the review of the market monitor.

14 MR. MCCULLOUGH: May I add a two-cent  
15 comment?

16 DR. HYDE: Yes.

17 MR. MCCULLOUGH: Roy, the problem we have is,  
18 is that the bid appeared to have followed the levels  
19 set by Dr. Patton and there is a presumption that if  
20 Dr. Patton had set a higher a higher level the bid  
21 would have followed it up or a lower level and the bid  
22 would have follow it down.

23 That is appropriate for another proceeding.  
24 I don't want to get into the debate, but it is the lack  
25 of certainty and the data behind that reference level

1 that caused the concern. So if we are going to have  
2 something like with that much power, then we have to  
3 know exactly where every dittle and dot came from and we  
4 are not there yet.

5 DR. HYDE: Two long sentences. I don't think  
6 actually I got anybody picking up on what I  
7 was trying to go for here, so perhaps I should ask in a  
8 different way.

9 To the extent there are limited amounts of  
10 potential transmission and or sales to the best  
11 opportunity, would it be possible to employ a curve  
12 rather than a single value for opportunity costs for  
13 different availability of various alternatives?

14 Is this advisable? If Dr. Patton could chime  
15 in first addressing the feasibility of this, then  
16 everybody else I am sure will tell me about the  
17 advisability.

18 DR. PATTON: One quick comment because it is  
19 related to this and this is in response to Dr.  
20 McCullough saying, "Just look at transactions, small  
21 amount," so I think what we established on the last  
22 panel is the size of the market is something like five  
23 to six gigawatts, the amount of firm transmission that  
24 is held by participants who can use it to export is  
25 something like 4 gigawatts that aren't for the next

1 planning year.

2 The fact that a lot of that replacement  
3 capacity has come from other sources in the past  
4 doesn't mean next year that more of it won't come from  
5 MISO.

6 As far as your question on a curve, what I am  
7 trying to say is we do not know which units are the  
8 ones who, if they are all seeing the opportunity, they  
9 are all competing with each other to go there, then it  
10 is necessarily discriminatory to try to pick which ones  
11 get a higher reference 1 or 1 which ones get a lower  
12 reference level, I do not know that could possibly not  
13 be discriminatory.

14 DR. HYDE: But feasible.

15 DR. PATTON: I do not know how we would do  
16 it. Two IPP's. They both want to export, and I tell  
17 one of them they can have a reference level of \$150 and  
18 another one of \$120, so I do not know on what basis I  
19 could possibly do that.

20 They both are seeing the same opportunities,  
21 seeing the same profit motive. If only one of them can  
22 export that's fine, I do not know which one it is going  
23 to be until after the fact until I look back in  
24 history, and say, "That guy, he is the one who found  
25 the partner in PJM to the contract with and it was not the

1 other one."

2 DR. HYDE: To follow up and play a bit of  
3 devil's advocate with you or whatever, the devil's  
4 foot, usually when we consider marginal costs and we  
5 are looking at a supply curve you are looking at the  
6 marginal cost of the next cheapest unit.

7 In terms of opportunity costs, you would be  
8 thinking about the next cheapest opportunity sale. In  
9 fact, under your representation you're looking at the  
10 marginal cost pretty far up the curve.

11 Can you address that?

12 DR. PATTON: If you take -- lot's just say capacity  
13 the PJM's worth \$165 a megawatt day, that is what the third  
14 incremental auction cleared out which is -- when you  
15 deduct the cost of transmission is almost exactly a reference  
16 level, I don't want to say, but we prognosticated it, but we  
17 were within 30 cents or something which is  
18 unbelievable.

19 But say that that's the value of capacity in  
20 PJM. The PM buyers in PJM that are buying for \$165 a  
21 megawatt day, and I have two units, whichever one sells  
22 it is going to make \$165 a megawatt day.

23 One of the unique things about the capacity  
24 market is that for most units unless they are really  
25 old, so therefore have high maintenance costs, most of



1 their going forward costs will be covered by net energy  
2 and ancillary service market revenues. Which means that  
3 when I look at two units, they are nearly  
4 indistinguishable, their marginal costs of selling  
5 capacity are almost entirely based on what they can  
6 make by exporting the capacity which is why in a lot of  
7 markets you just expect if they do not have an  
8 opportunity, you are going to see a lot of people  
9 offering at zero and why the subdemand curve was so  
10 important in the Northeast because it is the only way  
11 to set a price that is not zero.

12 When I look at these units they all look like  
13 they have the marginal cost of what the value of  
14 capacity is in PJM.

15 It's not as if when one sells, the value -- the  
16 PJM capacity market is relatively deep.

17 It is not when the first unit contracts in  
18 PJM, I am expecting the capacity price will go from  
19 \$165 to \$160 and now the next person who contracts his  
20 opportunity is only \$160 and then it keeps going down.

21 The reality is the MISO sales are at the fringe  
22 and I don't think they have a big influence on the  
23 opportunity.

24 MR. MCCULLOUGH: Dr. Hyde, I was not very  
25 clear so I do apologize for that. We have, if we

1 believe the EQRs, 400 MW capability of exporting  
2 capacity to PJM because that is the number that appears  
3 to come out of it and we will accept the \$165, so if  
4 the surplus in Zone 4 is less than 400, the reference  
5 price will be \$165.

6           If the surplus in Illinois in Zone 4 is more  
7 than 400 which it vastly is then you would fall to a  
8 much lower reference level.

9           When I was trying to operationalize, I was  
10 trying to make it that simple that we know the 400,  
11 there is someone at the MISO end of the table who knows  
12 that number and can correct me on it, and we know  
13 exactly what that number is in PJM, at the point of  
14 which Dr. Patton makes his commitment, he knows the  
15 bilateral transactions that have been made recently at  
16 those levels potential from the EQR, hopefully from a  
17 better source so he can actually put those two numbers  
18 in his calculation to determine if it's that first  
19 step.

20           And it is in the first step, then he has to go  
21 to an alternative bank... Is that clear enough?

22           DR. HYDE: Thank you. Mr. Ali-Jabir.

23           MR. ALI-JABIR: One point to bring out in  
24 response to some of what Dr. Patton had to say was, and  
25 I do not want to leave the impression that if we were

1 to adopt the recommendation that we put forward which is  
2 basically for at least for the next auction to bring  
3 the initial reference level down to zero.

4 DR. HYDE: We will be talking about that  
5 later as well.

6 MR. ALI-JABIR: I do not want to leave folks  
7 with the impression that basically you would be  
8 collapsing down to marginal costs of zero.

9 That would be essentially the basis for it,  
10 so that folks would have to bid or they'd be subject  
11 to mitigation because in MISO you do have a conduct  
12 threshold that is 10% of the costs in new entry and  
13 in addition to that you have going forward costs. Going forward  
14 costs that could potentially include, if there is capital  
15 investments that they are thinking about making on  
16 the margin to address emissions control issues.

17 Those are the factors that would play into  
18 that. But also to address your issue more specifically  
19 about trying to set up a curve for the reference  
20 levels, I think there will be some difficulties with  
21 that because, again, one of the concerns that we have  
22 is you have to make sure that the opportunities you  
23 are identifying are legitimate and verifiable, that  
24 can absorb all of that, the excess supply.

25 If we are talking about trying to identify

1 discrete opportunities at different points along a  
2 curve that would get pretty complicated to do.

3           You are looking at a potential alternative.  
4 One thing to key on is the fact that the existence of a  
5 pivotal supplier is what is really driving a lot of the  
6 problem in Illinois Zone 4, so if you are looking to  
7 try to narrow in specific mitigation measures that  
8 might be different then I think you can focus on the  
9 fact that if you have a pivotal supplier the market  
10 cannot settle without that supplier's capacity that you  
11 could look at that -- a different initial offer will  
12 settle for that particular supplier.

13           DR. HYDE: Your comments kind of tracked  
14 through most of the rest of my questions. Dr. Shanker?

15           DR. SHANKER: I am still in the position  
16 where David is which is that if you are going into this  
17 situation blind, I don't know how you differentiate  
18 among the participants.

19           If you want to create, and Robert suggested  
20 this earlier, a single capacity market with a  
21 completely different design and not a vertical demand  
22 curve and a lot of other features be it like New  
23 England and PJM, just put in, or something like New York,  
24 those kinds of observations may subsume away some of  
25 what your concerns are.

1                   But you sort of have, "Who goes first?"  
2                   problem here and in the presence of that information,  
3                   the determination that the market monitors made is  
4                   exactly right.

5                   MR. MCCULLOUGH: We are two different  
6                   perceptions of my model. Let me just clarify.

7                   Dr. Patton looks at the first block, the  
8                   first step of the reference price which would be the  
9                   export.

10                  If he finds that the surplus is larger than  
11                  the potential export market, then he drops down to the  
12                  second block which we have yet to debate which probably  
13                  would be considerably lower.

14                  I am not talking about a different number for  
15                  every supplier. I am talking about a specific 400 MW  
16                  block, and I admit, I made that number up, at \$165.

17                  If he knew that our surplus is 2000, he would  
18                  drop down to the next block of reference price.

19                  DR. HYDE: Mr. Bladen.

20                  MR. BLADEN: There is a lot of me too in my  
21                  comment, but I'll try and stick to the new stuff.

22                  The interesting challenge with having some  
23                  kind of curve of a fashion that I thought I understood  
24                  you to describe is that it seems as if it is by design  
25                  reducing competition, not enhancing it.

1           Essentially, it would lead to the outcome  
2       where the only place to capture the true opportunity  
3       cost was through export and because the true  
4       opportunity cost is in a neighboring system, anybody  
5       that wanted to capture that using the curve, I think  
6       would require them to export.

7           I think David was saying that, but I wanted  
8       to try to be as clear about it as possible.

9           DR. PATTON: I want to say it in a different  
10      way. What I was trying to say about why you cannot have a  
11      curve is -- let's say you have 20 units, the reference  
12      level, whether it is for energy or ancillary services  
13      or capacity, you are always answering the same  
14      question.

15           What if a competitive supplier owned this  
16      unit? What is there incentive? What would they choose  
17      to do?

18           They are in a market that is designed to  
19      produce prices close to zero. There is a market next  
20      door let's say that will pay them \$165 a megawatt day.  
21      There is plenty of transmission, it's a 300 MW unit,  
22      or 200 MW unit, the answer to my question would be  
23      clearly they should pursue the opportunity to export  
24      the capacity for \$165 as opposed to being willing to  
25      sell close to zero.

1                   If that's the answer for the first unit, it is  
2                   also the answer for the second unit, the third unit,  
3                   all 20 units, which is why you -- the marginal costs  
4                   are the same.

5                   You cannot differentiate and give them  
6                   different marginal costs.

7                   DR. HYDE: Mr. Ali-Jabir.

8                   MR. ALI-JABIR: At the risk of belaboring the  
9                   point. Just to follow up on one thing that Dr. Patton  
10                  said was he -- is the key on the idea that he said what  
11                  would a competitive supplier do.

12                  It is just important to emphasize that that  
13                  is the key concern here is the initial reference level  
14                  is supposed to set some sort of a benchmark or proxy  
15                  for what a competitive market outcome would produce. And  
16                  in this situation we have a pivotal supplier that their  
17                  capacity needs to be offered in order to clear that  
18                  particular zone than that initial reference level is  
19                  not going to be reflective of competitive market  
20                  outcome if they could use their position as a pivotal  
21                  supplier to influence what their bid would be up to  
22                  that reference level.

23                  DR. HYDE: Thank you. Dr. Chatterjee?

24                  DR. CHATTERJEE: Back to your example. It  
25                  really boils down to: Do you think all 3,000 MW can

1 compete for that 500 MW of transmission that's  
2 available?

3 You don't pick out of with those 3000 which  
4 one can go. If 500 is available, all 3000 can compete  
5 for that 500 MW of transmission.

6 DR. HYDE: Dr. Shanker.

7 DR. SHANKER: Two things. I will honor your  
8 guidance not to engage with pivotal or not because that  
9 is an open factual question in front of you and I do  
10 not agree.

11 The other notion and this follows up on what  
12 Jeff was talking about is that there are a couple  
13 different time steps involved here because of the way  
14 the markets are designed in terms of both PJM and MISO.

15 You are seeing an overlap of behavior. You  
16 can't divorce the determination that the MMU is making  
17 in trying to balance off seeking a competitive offer  
18 from the design of the adjacent market and MISO.

19 One of the things you might think about in  
20 looking at that is the progress of the exports in the  
21 PJM over time from MISO and the numbers go like 200,  
22 2000, and 4000.

23 I switched them in the UCAP, not ICAP from  
24 the West I and West II which are the two adjacent  
25 areas.



1                   You're seeing a dynamic of everybody is  
2                   marginal internally despite the logic that you  
3                   discussed, but also everybody is acting to capitalize,  
4                   putting in -- Mr. Bresler talked earlier going  
5                   through the process to get the network designated  
6                   service, going through the process, the studies that  
7                   are necessary, going through the process to put in the  
8                   communications for the pseudo-tie and essentially  
9                   moving out into that opportunity cost of making it  
10                   real.

11                   It is in the sort fuzzy time zone between the  
12                   steps between what's going on, it's marginal and I  
13                   think that at least half of us conceptually are  
14                   comfortable with that.

15                   But the physical reality is that it's more  
16                   than marginal. It's also being driven that way because  
17                   of the nature of the markets and that's a consistent  
18                   indicator that the number that's being is picked is  
19                   pretty reasonable.

20                   DR. HYDE: I am going to go fast forward  
21                   through a few of my questions because everybody does  
22                   want to talk about everything as you expected.

23                   But when you're talking a facility  
24                   specific reference level, should the opportunity of  
25                   facing a particular facility be limited to the

1 transmission capacity that it has in hand.

2 MR. MCCULLOUGH: You mean as opposed to  
3 additional capital investment that the EPA may require?

4 DR. HYDE: No, I mean in terms of getting  
5 capacity out of MISO and into PJM, holding that  
6 capacity, where say it wants to move, it has 300, and  
7 it would be happy to sell, but it in fact only handles  
8 firm contracts to get 50 out.

9 Should there be a differences in the  
10 opportunity cost it faces, depending on how many can  
11 move out?

12 MR. BLADEN: I think the challenge is that  
13 transmission is a fungible commodity much like  
14 capacity. The degree to which someone does not hold  
15 transmission today doesn't preclude them from procuring  
16 it tomorrow.

17 The degree to which you instituted some kind  
18 of rule that said that you sold transmission in order  
19 to qualify for a higher facility reference level might  
20 well drive the price of transmission up in ways that  
21 would correspond to the depression of capacity prices  
22 on the other side.

23 I am not certain. Actually, I am pretty  
24 certain that economics would rule and you would end up  
25 with an equilibrium because of the valuation of the

1 combination of the assets.

2 DR. HYDE: Thank you. Anybody else? Mr.  
3 McCullough.

4 MR. MCCULLOUGH: Let's again deal with data.  
5 Southern Illinois there is the Joppa Plant. It was  
6 built back in the 1950s to supply the nuclear  
7 enrichment facility in Paducah. It is gone now, 300  
8 MW, PBA's largest load is gone.

9 Some of Joppa is available for export into  
10 PJM and we have some evidence of what that is because  
11 we followed the transactions through.

12 That's a finite amount and what we see on the  
13 people who were actually exporting to PJM is we see  
14 names like Illinois Power Marketing and the Wabash  
15 Valley Power System who have existing transmission  
16 capabilities and they are selling at whatever  
17 market price there is they can get.

18 Traditionally, it is not that high and maybe  
19 this year it will be higher. But that does not occupy  
20 all of Joppa.

21 The rest of Joppa is still going to be in  
22 Illinois and the rest of that is going to be in a state  
23 that is surplus and so pretending that Joppa is  
24 suddenly deficit in PJM is inappropriate because  
25 apparently Joppa can't get to PJM and we have

1 substantial evidence on that for many years.

2 DR. HYDE: Thank you. Mr. Bladen.

3 MR. BLADEN: It is important not to lose  
4 sight of the fact the capacity has value in MISO. What  
5 I hear the discussion gravitating towards is suggesting  
6 is simply because someone is not exporting means it  
7 doesn't have the value of its neighboring system.

8 But in fact MISO capacity resources are  
9 utilized on a long-term basis to serve loads that are  
10 obligated to serve for many, many years.

11 To suggest that one might exercise a  
12 short-term opportunity for value ignores the fact that  
13 they may have many long-term commitments or informal  
14 commitments to serve load, and just because they are  
15 not taking advantage of an opportunity in a neighboring  
16 system doesn't mean that opportunity doesn't exist for  
17 them and for their neighbors.

18 DR. HYDE: Let me respond that you may be  
19 hearing that from the other panelists, please don't take  
20 that as a Commission position where there will be other  
21 questions that would call those of other viewpoints,  
22 I'm sure.

23 MR. BLADEN: I was not suggesting to reflect  
24 on the position of the Commission or it's Staff, but  
25 only to recognize that simply because someone is not

1 taking an opportunity to sell off of the MISO system  
2 doesn't mean the opportunity doesn't exist.

3 But they may have their own other separate value  
4 that they place in the capacity that they're choosing  
5 to hold onto it in MISO.

6 As has been noted earlier, much of MISO, most  
7 of MISO's load servers are vertically integrated with  
8 long-term load obligations and the assets they own and  
9 control are being used to serve those loads at values  
10 that they have internalized.

11 DR. HYDE: Thank you. Mr. Ali-Jabir.

12 MR. ALI-JABIR: Yes, and thank you. I just  
13 have to feel compelled to respond to that a little bit  
14 in the sense that if we are focusing again on the  
15 replacement capacity market, it is not so much a  
16 question of is that opportunity out there.

17 The market is there, but we can, the  
18 suppliers of MISO, and again, we are looking in  
19 particular, the problem is with the Illinois Zone 4, can  
20 they physically access that market?

21 That is another issue that is very important  
22 because if the constraints are such that they cannot  
23 access that --- can't absorb that excess capacity  
24 that's available in the zone then that's not a legitimate opportunity  
25 because there are physical barriers to

1       them reaching that.

2                   I think we just saw a presentation from PJM,  
3       the data that is supplied would show that if you're  
4       coming out of Amerville, Illinois zone after that third  
5       incremental auction in almost all the months of the  
6       year, the ATC was effectively zero.

7                   That says a lot about what the opportunity  
8       is.

9                   Going back to your initial question. You had  
10       asked the question about essentially how would the  
11       facility specific reference level be set and should  
12       that somehow factor in a particular export opportunity  
13       or opportunity cost for a particular supplier, I think our  
14       position is that at least for the complaint that we  
15       filed, We think the focus should be on making some incremental  
16       changes at the margin of the MISO tariff in the  
17       rules as they stand. And so what we've said is basically  
18       if you are going to look at a facility's specific  
19       reference level and you collapse back to what that  
20       facility's particular marginal costs are as opposed  
21       to trying to factor in some sort of a sales opportunity  
22       into that.

23                   Thank you.

24                   DR. HYDE: We plan to go further on that  
25       soon. Yes, Dr. Shanker?

1 DR. SHANKER: To emphasize. Mr. Bresler also  
2 differentiated and I think David did as well between that ATC  
3 that's tied up with capacity versus ATC or TTC that is  
4 used and available for energy transactions, and from  
5 your outline, we are going to get into later  
6 recommendations about how things specifically might  
7 change because some of these things that we are talking  
8 about change as the market paradigms change.

9 You cannot lose sight that for 90% of MISO  
10 virtually all the revenues are non-transparent for  
11 capacity.

12 If you want to make all those transparent and  
13 put all those at risk in a market context, you would see  
14 a different set of behavior.

15 You also have differences  
16 that are coming about in PJM in terms of, at least for  
17 the next four years, how PJM is going to be conducting a  
18 two paradigm market, and then after that, a single  
19 paradigm market that are different from today so all of  
20 those will go together as well.

21 DR. HYDE: Dr. Patton?

22 DR. PATTON: I want to clarify. I don't  
23 think we have seen data that says people cannot export  
24 from Zone 4. I think we have seen data that suggests that  
25 there is capability to export from Zone 4 from both

1 PJM and MISO and both have noted that the data they are  
2 showing is influenced by the firm transmission that  
3 already exists held by other participants that can be  
4 procured by somebody wanting to export -- so I didn't want  
5 that comment to go by and somehow we have concluded  
6 that we can't --

7 DR. HYDE: I think we need to let a few comments go  
8 by so we can move to our next question.

9 Next we will turn next to the discussion of other  
10 ways not tied to opportunity costs but initial  
11 reference levels could be calculated.

12 Please note that these discussions are  
13 exploratory only and there is no particular ranking of  
14 preference for any of the alternatives.

15 First, we will look at the potential use of  
16 non-opportunity cost-based going-forward cost.

17 MISO tariff allows for use of documented  
18 going-forward costs for facility specific reference  
19 levels where the going-forward costs are the costs of  
20 keeping a generation resource operating.

21 In particular, the MISO tariff allows  
22 for these going forward costs to reflect either the net  
23 opportunity costs of foregone sales outside of MISO, as  
24 we have been discussing, or what we will be discussing  
25 here, the annual costs that could be avoided if the



1 supplier suspended operations or retired the resource,  
2 the capacity resource.

3           However, the new facility specific initial  
4 reference level only looks at opportunity costs and not  
5 avoidable annual costs.

6           In place of the current approach for initial  
7 reference level, could and should MISO or the IMM  
8 develop estimated going-forward costs by resource type  
9 to calculate an avoidable cost initial reference  
10 level.

11           For example, should different default initial  
12 reference levels based on going-forward costs be  
13 developed for combined cycle units, combustion  
14 turbines, nuclear units and coal units with these  
15 levels serving as the initial reference level for that  
16 resource type?

17           DR. PATTON: The answer is no, you should  
18 not do that. Effectively what you're asking is to  
19 sort of suspend economic theory in determining the  
20 reference level and the reference level is  
21 predicated on economic theory.

22           It's like saying that somebody has a classic  
23 car. You open the paper. It's worth \$70,000, and it  
24 cost them \$2,000 a year to maintain it and maybe he  
25 takes it to car shows and they pay them a fee and it

1 covers the \$2000, so his going forward costs of owning  
2 this car is zero.

3 Should I compel him to sell it at zero? No,  
4 of course, you should not because he's got the  
5 opportunity anytime he wants to go sell to someone for  
6 \$70,000. I don't know how that could be a legitimate  
7 approach.

8 DR. HYDE: You only answered half the  
9 question.

10 DR. PATTON: What is the other half? I am  
11 sorry.

12 DR. HYDE: Could you do it?

13 DR. PATTON: Could you do it?

14 DR. HYDE: You only answered should.

15 DR. PATTON: Could we do it? What am I going  
16 to say, "No, we can't do it?" Of course we can do it.

17 We have been looking at going-forward cost  
18 collecting data on elements of going-forward costs, not  
19 only in MISO, but in markets all over the country from  
20 all types of units.

21 There's no question that we could do  
22 something like that.

23 DR. HYDE: Mr. McCullough.

24 MR. MCCULLOUGH: On "Should you do it?" I  
25 liked your antique car example. Apply it to the

1 antique coal units recently sold by Ameren to Dynegy.

2 DR. HYDE: Can we speak in generalities here,  
3 please?

4 MR. MCCULLOUGH: I am sorry. Sold by an  
5 unknown Missouri firm to an unknown Illinois firm. The  
6 sale was at zero and the sale was at zero exactly  
7 because of EPA rules and that is well covered in the  
8 press and in the financials of these unknown units.

9 DR. HYDE: That sounds pretty specific.

10 MR. MCCULLOUGH: Somewhere in the galaxy there are  
11 two firms that sold obsolete coal units at a low price.

12 The question is: When does it become a going  
13 forward cost? I followed the Kiwani Decision very  
14 carefully. It was a nuclear plant, not an issue I  
15 believe in any proceeding in front of FERC and so that  
16 was very much a going-forward price decision.

17 They could not find a market equal to the  
18 going-forward price.

19 That is something that an entrepreneur has to  
20 address and it is something that we can possibly  
21 measure. So on the should we do it, it does happen in the  
22 real world and apparently it is not something where we have  
23 to reinvent the wheel.

24 Could Dr. Patton do it? Obviously, he could.  
25 He is quite competent.

1           The key is if he did, it would have to be  
2           very transparent. No one in the industry has not heard  
3           how incredibly expensive the EPA rules are and how  
4           the collapse of modern society is upon us at any  
5           moment.

6           Obviously, a few of those claims are  
7           exaggerated. If we ended up with an extensive use of  
8           those going-forward costs, it would require a difference  
9           in methodology so that all of the players would be able  
10          to look over their shoulder.

11          DR. HYDE: Dr. Shanker?

12          DR. SHANKER: First, should -- unambiguously,  
13          no. It is a suspension of reality, and David, the  
14          terminology is exactly right.

15          Could you do it? Yes. It's done with great  
16          frequency in the other RTOs. Dr. Patton did it himself,  
17          four units that chose to bid about the default level.

18          Dr. McCulloch's comments on difficulty and  
19          transparency are an important issue. I have engaged in  
20          a number of negotiations on this for a number of  
21          clients and transparency is often difficult.

22          Going back to the "should", I think without  
23          getting into a specific unit, I was in the midst of  
24          negotiation on a sale from a unit from one RTO to  
25          another, a large bilateral sale. And it was understood

1 by the market monitor that even though there was a must  
2 offer obligation, it was reasonable to suspend it in the  
3 midst of the negotiation process and that to me really  
4 drove home exactly what David was talking about, about  
5 everything is marginal.

6 At that point in time, you hit a deadline where  
7 you have to have a number in there. And the reality was  
8 that the dynamics of negotiation of a real business  
9 transaction that was verified did ultimately come to  
10 fruition, but didn't have to, was an important  
11 demonstration of opportunity cost and price formation  
12 that helped the market in the long run and actually  
13 excused the must offer obligation in one of the RTOs.  
14 And that is about as detailed an example of why we  
15 should be doing it the way that it is being presented  
16 in MISO now as I can come up with.

17 Can you tweak the little things? Yes. Can  
18 we argue about little things? Yes. But conceptually,  
19 no, you shouldn't move away from that.

20 DR. HYDE: Thank you. Mr. Ali-Jabir?

21 MR. ALI-JABIR: At the outset, I just feel  
22 compelled to respond to the comment that not relying on  
23 the opportunity costs, at least for the next auction,  
24 from the replacement capacity market as a suspension of  
25 reality, I would say it is rather a recognition of

1 reality because the reality is that the market is not  
2 deep enough, it's not accessible due to the  
3 transmission constraints that we have already talked  
4 about.

5           Setting that aside, to get to the specific  
6 question about how you would look at the resource  
7 specific reference levels.

8           I think it's important to point out that you have  
9 either the conduct threshold that would still be in  
10 place even under our proposed changes from MISO tariff,  
11 so with that conduct threshold being at 10% of the cost  
12 of entry, we are still talking about a supplier being  
13 able to bid up to about \$25 per megawatt day. And in  
14 most cases or at least in many cases, that is going to  
15 cover their marginal capacity costs already, so they  
16 are going to be able to bid in without having to rely  
17 on any resource specific reference level calculations.  
18 and to the extent that that can be done, I think it can  
19 be done at a facility specific level for any  
20 resources that they believe they have a marginal -- a capacity  
21 cost above that level and I don't think would be unduly  
22 burdensome to do that.

23           DR. HYDE: Actually, you are doing very well  
24 at your roadmapping of questions. What we would like to  
25 know, although I don't know if we have enough advocates

1 in this camp, but currently the conduct threshold for  
2 mitigation is 10% of the cost of new entry.

3 If we went with such an avoided cost initial  
4 reference level, as has been pointed out does exists in  
5 other RTOs, what conduct thresholds would be  
6 appropriate with that?

7 DR. PATTON: I just want to clarify. I do  
8 not think that that exists in any other RTO going-  
9 forward cost only reference level.

10 For example, in New York there is an initial  
11 reference level that's based on supply and demand and  
12 then going-forward cost, if it exceeds -- so it is sort of  
13 similar to MISO.

14 It's just that the initial is different. I  
15 don't know that any of them just say you only get going-  
16 forward costs as your reference level.

17 DR. HYDE: I thought PJM was closer to that.

18 DR. PATTON: I am not as familiar with PJM.

19 DR. HYDE: And I may be wrong.

20 MR. BLADEN: PJM right now, like New England,  
21 is implementing an opportunity cost base special.  
22 Previously they could have. There is unit defaults and  
23 there were cost plus 10% negotiated and also opportunity  
24 cost that demonstrate it.

25 Again, you cannot pick these off one at a

1 time. You have got to look at the whole market design.

2 There is a reason why that fan of  
3 opportunities were there and the most interesting thing  
4 is that the Commission just endogenized the opportunity  
5 costs in both ISO New England then PJM as being the  
6 result.

7 I know people should twist it. I will not say  
8 safe harbor, but the resulting default opportunity cost  
9 for anyone that chose to do it in those two markets,  
10 and it is exactly, for the generalized economic  
11 considerations of where you reach a point of  
12 indifference about selling into the market versus  
13 pursuing another alternative.

14 You see a little of both out there.

15 MR. ALI-JABIR: To answer your question,  
16 specifically, our position is that, again, the 10% cost  
17 of the entry, conduct threshold we feel would capture a  
18 sufficient number of suppliers -- reflect the marginal  
19 capacity costs of sufficient number of suppliers that  
20 are bidding into the market, that would be a reasonable  
21 level to set it at. Any supplier that felt like they had  
22 a resource specific marginal capacity  
23 costs that exceeded that could again petition for a  
24 resource specific reference level.

25 MR. BLADEN: It is important to repeat what I



1       said earlier which is the degree to which resource  
2       specific reference levels fall below a real opportunity  
3       in a neighboring system such a structure would  
4       inevitably lead to a requirement that you export in  
5       order to capture the true opportunity and that would  
6       inevitably also lead to a reduction in the amount of  
7       competitive offers in the MISO marketplace.

8               DR. PATTON: I realize that I did not  
9       actually answer your question. Would you need to change the  
10      conduct threshold, I do think you would need to  
11      increase the conduct threshold because the conduct  
12      threshold captures a lot of things.

13             One thing it captures is just the basic  
14      notion that the definition of the exercise of market  
15      power requires that a supplier with market power  
16      increase the price by a material amount so you have to  
17      have a material amount and 10% of costs of new entry  
18      is reasonable in that regard.

19             It also captures other things both -- yes, the  
20      conduct thresholds we are using the energy market and  
21      in the capacity market captures measurement uncertainty  
22      on marginal costs.

23             There are an awful lot of things with going-  
24      forward costs in particular where there is substantial  
25      differences on a variety of inputs to that calculation

1 on the cost of financing, the structure of financing, the  
2 aversion to taking on long term risk.

3 If I have a participant who is risk-averse  
4 and I'm doing a risk neutral calculation, then I'm  
5 going to get a lower going-forward cost than that  
6 participant gets.

7 One of the ways we account for, and on the energy  
8 side, uncertainty around fuel costs, and so forth, the  
9 way we get around that is by having a having a conduct  
10 threshold that picks up that there can be differences  
11 in preferences and assumptions made by participants  
12 and made by us.

13 If you go to the sort of unit specific, any  
14 unit specific framework where there is going to be  
15 significant differences between their inputs and their  
16 preferences and ours as the Market Monitor, you would  
17 need a bigger conduct threshold to accommodate that.

18 DR. HYDE: Thank you. Having stopped with  
19 actually the answer that I asked for, let's move on to  
20 another possibility.

21 We want to discuss the potential use of a  
22 calculated net cost of new entry or net CONE, and as a  
23 reference level in MISO.

24 Con values are currently calculated on a  
25 zonal basis in MISO and represented a dollar per

1 megawatt year format.

2 Net CONE is at the Con value less revenues  
3 earned in the energy and ancillary services market and  
4 would will yield an estimate of missing money that  
5 could be used in the basis for the reference level.

6 Please discuss the reasonableness of using a  
7 Net CONE based initial reference level in the MISO  
8 planning resource auction. Dr. Patton is smiling at  
9 me. Let's start there.

10 DR. PATTON: That is probably not any more  
11 reasonable than the last Proposal. The problem is that  
12 you need the reference level or a theory dictates  
13 that reference level reflects people's marginal costs.

14 Con may be the marginal cost in some  
15 circumstances when your supply and demand are close to  
16 one another and their marginal opportunity is to sell  
17 to somebody who otherwise is going to have to build a  
18 unit to satisfy their requirement.

19 In that case, Con would be an opportunity,  
20 but the problem is, it's not really a legitimate  
21 opportunity. And in other cases, where you have surplus  
22 capacity and the value of capacity is significantly  
23 less than Net CONE.

24 DR. HYDE: Dr. Shanker.

25 DR. SHANKER: I get a nickel every time you

1 use the term "missing money."

2 Second, if you're talking about it as a  
3 construct for individual specific units, is that how  
4 you are presenting this?

5 So each unit is Net CONE? Are you doing it  
6 against the reference unit?

7 DR. HYDE: This is the initial reference  
8 unit.

9 DR. SHANKER: Against the reference unit. It  
10 doesn't work for the reasons that Dr. Patton stated but  
11 also the paradigm in terms of trying to capture missing  
12 money, it really goes back to what is your objective  
13 which is to attract new entry and retain economic  
14 existing.

15 Net CONE is a valuable concept in that when it  
16 is coupled with two other attributes. One is a  
17 downward sloping demand curve and two, a feedback  
18 mechanism that tends to get the price to oscillate  
19 around that reference unit Net CONE.

20 And MISO has neither of those.

21 In the context of what's out there now, this  
22 kind of a reference level would be pretty useless.

23 MR. ALI-JABIR: Reemphasize our position and I think  
24 this does address your question is with regard to  
25 threshold, we believe that 10% of cost of new entry, the

1 existing threshold, at least for the next auction, is a  
2 reasonable fallback position for the reasons I  
3 previously stated because it does, we believe, cover the  
4 marginal capacity costs of a lot of the suppliers and  
5 going-forward costs out there, so we think at least for  
6 the next auction that that's a reasonable solution  
7 until again there is a legitimate and verifiable lost  
8 opportunity costs that can be identified that is going  
9 to absorb all of that excess capacity that is in  
10 Zone 4.

11 DR. HYDE: That leads me right to where we're  
12 going next, yet another possibility which may have more  
13 advocates than the previous possibilities had is  
14 requiring a zero dollar per megawatt day initial  
15 reference level to serve as the default reference  
16 level.

17 This would allow market participants to offer  
18 under the conduct threshold without being mitigated.

19 Please discuss the pros and cons requiring  
20 all capacity offers above the conduct threshold which  
21 is currently, we think it is about \$25, to be supported  
22 by facility specific reference levels.

23 Mr. Ali-Jabir.

24 MR. ALI-JABIR: Clearly, I think if I have not made  
25 that clear already in the comments I made before, I think we

1 would support that approach. We think it's reasonable  
2 because, again, until you have a legitimate, verifiable  
3 opportunity costs that is out there, and we don't think  
4 the PJM replacement capacity market fits that bill for  
5 the reasons we've identified in our complaint, and in  
6 our affidavits, that it's very reasonable to establish  
7 the MISO ab initio reference level to zero and again  
8 having that conduct threshold in place is reasonable  
9 because it is going to cover the going-forward marginal  
10 capacity costs of a lot of the suppliers in the market.  
11 And having that option which already exists in the  
12 tariff to establish resource specific reference levels  
13 on top of that would allow all suppliers to bid in at  
14 levels that reflect their marginal capacity costs  
15 without being mitigated.

16 DR. HYDE: Anyone else? Dr. Patton?

17 DR. PATTON: I suspect you know what I am  
18 going to say. I will say it anyway. I think clearly that's  
19 not a great idea.

20 It is very similar to the first idea which is  
21 to set people's references based on going forward costs  
22 because if I give people zero initial reference level  
23 everyone is going to come in for going-forward base  
24 is reference levels.

25 To the extent those going-forward costs for a

1 lot of units are very low but they have the opportunity  
2 to sell elsewhere if we mitigate them, we are not  
3 mitigating market power anymore.

4 We are artificially constraining prices in  
5 MISO and preventing competitive behavior, so you are  
6 just interfering with a well-functioning market at that  
7 point.

8 DR. HYDE: Mr. Ali-Jabir.

9 MR. ALI-JABIR: I just have to say that I think a  
10 clearing price of \$150 per megawatt day in that zone is  
11 not reflective of competitive behavior in a competitive  
12 market outcome.

13 That's pretty obvious when you look at the  
14 supply and demand balance in that zone, so I feel  
15 compelled to make that remark. Thank you.

16 DR. HYDE: Anyone else on that?

17 DR. SHANKER: This is more of a question that  
18 I don't have the answer to.

19 Does the Commission or have any of the people  
20 presented the average embedded cost that customers are  
21 paying in other zones of MISO?

22 DR. HYDE: What is the question?

23 DR. SHANKER: Has the Commission presented or  
24 other participants presented the average embedded cost  
25 that is effectively the de facto market rate that other

1 capacity is paying and other consumers are paying for  
2 capacity in MISO?

3 MS. RAUCH: In some of the answers filed in  
4 these proceedings, I believe Dynegy made an estimate.

5 MR. SHANKER: And the ones that I am aware of  
6 are de facto competitive in the sense that you are  
7 forced to pay them, if you want to look at them that  
8 way or they are non-competitive because you are forced  
9 to pay them, and the ones that I've been aware of are  
10 \$300 to \$400, so when I see a number that is estimated,  
11 and I think one of the filings in the public part of  
12 the filing, estimated a Net CONE of somewhere amount \$180  
13 or \$190.

14 I fall under the category of Dr. Patton's  
15 earlier comment which is, "You ought to be a lot more  
16 concerned about why prices are \$3.00 and \$4.00 or \$15.00 than  
17 about 80% of the average cost of new entry which would  
18 be deemed subcompetitive in terms of steady state  
19 results.

20 MR. MCCULLOUGH: I have a very quick comment.  
21 Dr. Nicholson, you referred to a company that operates  
22 in a different galaxy.

23 Thank you.

24 DR. HYDE: What are the concerns, if any, if  
25 a resource specific reference level needs to be



1       calculated and/or verified for each capacity seller  
2       that offers above the conduct threshold if such a zero  
3       initial reference level approach is adopted?

4               DR. PATTON: Do I get to include opportunity  
5       costs or no? How to make it a lot easier!

6               What is the challenge?

7               I have to say if you were to talk to the  
8       internal market monitoring unit in New England or talk  
9       to Potomac Economics in the context of New York where  
10      we have to calculate going-forward costs from the  
11      perspective of evaluating withholding from units that  
12      are retiring and that sort of thing, these things are  
13      complicated to get right.

14              If you want to get to the point where the  
15      participant is not going to litigate, then it takes a  
16      lot of effort. If you are willing to use simplifying  
17      assumptions then just tell the participants that you  
18      are throwing their data out in certain areas rather  
19      than working through the specifics of the technical  
20      needs of that particular unit, then you can do it.

21              But if you want to actually be accurate and  
22      employ engineers to inspect things and verify things  
23      with regard to the specific unit in question, and the  
24      reason that going-forward cost varies is because  
25      these units are, when you're looking a 45-year-old

1 unit, it is a unique entity based on its history.

2 So to do it accurately would be a tremendous  
3 amount of work.

4 DR. HYDE: Are you saying that creating those  
5 reference levels would be more difficult than say the  
6 reference levels you create for energy markets?

7 DR. PATTON: Oh, definitely, yes.

8 DR. HYDE: Mr. Ali-Jabir?

9 MR. ALI-JABIR: Let me point out a couple of  
10 things. One is, just to reiterate the point I made  
11 earlier. The only units that are going to have a  
12 reason to want to try to establish resource specific  
13 reference levels are the one's whose marginal capacity  
14 costs are not already captured by the 10% of cost of  
15 entry standards, so you will have a limited number of  
16 suppliers that are going to apply for that.

17 It is not going to be every supplier that is  
18 bidding into the market.

19 That is point one.

20 Then point two, I would like to emphasize  
21 that while the burden of performing the calculations is  
22 a reasonable consideration, it shouldn't be the determining  
23 factor because we are looking at what it takes to  
24 establish just and reasonable rates that the burden of  
25 running these calculations for a limited number of

1 suppliers is not something that should form a barrier  
2 to going forward with that approach. Thank you.

3 DR. HYDE: Thank you. Dr. Shanker?

4 DR. SHANKER: Two things. First, people do it.  
5 It's a feasible task. It is an onerous task.

6 PJM probably has the most generators in the  
7 process and the great majority take default rates.

8 The difficulty is that the more pressure you  
9 put on this by eliminating some of the rational  
10 alternatives like opportunity costs, the more  
11 contentious it will become.

12 Probably the best example, although there are  
13 components that are different but the overall process is the same  
14 is the minimum offer price rule in both PJM and in  
15 MISO.

16 You may wish they are all public documents  
17 for at least Dr. Patton's review after the fact of a  
18 determination and I think it would be worth your while  
19 to take a look at that.

20 Then the second exercise that is again almost  
21 exactly the same, where it becomes a big stakes game for  
22 everybody, so there is a lot of concern, would be every  
23 three years MISO goes through a reset of the demand  
24 curve.

25 We think that 24 months out of the three

1 years is the process. Is that a good estimate?

2 It is a 24-month process to get one  
3 reference. So the more important you make that one  
4 number the more contentious and litigated it becomes  
5 and the less useful it becomes conceptually in the  
6 context of reference prices.

7 It serves a much more important process in  
8 price formation in those other markets.

9 DR. HYDE: Thank you. Mr. Bladen.

10 MR. BLADEN: I'm compelled to say at this  
11 point as it was said earlier. I don't think we want  
12 Dr. Patton setting the price in the market.

13 The effect of asking anybody to define the  
14 reference levels in the manner that was described  
15 certainly would have the effect of muting the market  
16 forces, the degree to which we rely on our neighbors'  
17 competitive market to help us understand what the  
18 opportunity is in a competitive sense the less we are  
19 depending on any individual, or even smart team of  
20 individuals, to figure out what the price should be.

21 We have said markets are the best source of  
22 delivering reliability and the more we can depend on  
23 them the better.

24 DR. HYDE: Mr. McCullough.

25 MR. MCCULLOUGH: It is wise to keep track of

1 the numbers in Zone 4. There would be three firms that  
2 were subject to the limit as proposed by my colleague  
3 here.

4           Though it is not a small job, it is certainly  
5 much smaller than the entire market.

6           DR. HYDE: Basically, the fact that there is  
7 vertically integrated sellers out there who may be  
8 bidding at zero anyway makes them -- you not need to  
9 develop those reference levels for them, is that your  
10 point?

11           MR. MCCULLOUGH: In the case we are not  
12 discussing, obviously, there is a single pivotal  
13 supplier and so as it turns out, they would be the  
14 people who would be mainly eligible for this review.

15           DR. HYDE: Moving right along. As we  
16 consider alternative approaches to mitigation, we would  
17 like to turn to mitigation related to pivotal  
18 suppliers.

19           Should pivotal suppliers be subject to  
20 tighter mitigation than non-pivotal suppliers in the  
21 MISO auction?

22           Mr. McCullough.

23           MR. MCCULLOUGH: The answer is clearly yes.  
24 The reality is the following: We have in the Midwest a  
25 series of vertically integrated utilities.

1                   We have had one zone that has had a major  
2                   change into having a significant merchant. There is  
3                   nothing unusual about it. It happens in every possible  
4                   market we've ever seen.

5                   In fact, it is part of U.S. history that  
6                   having a pivotal supplier requires a regulatory  
7                   response. We are glad in fact that we have the option  
8                   of having a pivotal supplier but once we have that,  
9                   once we recognize it, then we do have to respond.

10                  The only way to solve it otherwise is to  
11                  redefine the zones which I believe is for later in the  
12                  day, so I won't address it.

13                  But for us to suddenly assume after 100 years  
14                  of regulatory policy that that isn't an issue, would put  
15                  Teddy Roosevelt springing out of his grave and explaining  
16                  that we had forgotten his legacy.

17                  I don't want to see that happen as that would  
18                  be the subject of a bad daytime TV show.

19                  So yes. Of course, whenever we have a  
20                  situation where someone has half the market, we need  
21                  to give a much closer review of their actions.

22                  DR. HYDE: Dr. Patton?

23                  DR. PATTON: I do not think anyone wants to  
24                  see that. We do this in a lot of context, but there is  
25                  certainly nothing wrong with applying market power

1 mitigation only to entities that we believe have market  
2 power.

3           The reality is it may be hard to tell in  
4 advance who has market power and you certainly don't  
5 have to be pivotal to have market power. That is  
6 particularly the case where you have a downward sloping  
7 demand curve and you can raise the price even though  
8 your units are not in their entirety needed to meet the  
9 minimum requirement.

10           That is not the case in MISO because we do  
11 not have the downward sloping demand curve. But that's  
12 just a point to say that there is not an  
13 equivalence between double supplier status and market  
14 power which is one of the advantages of having a  
15 broader based application of the market power  
16 mitigation measures.

17           If you structure them in ways where you are  
18 confident that you are not going to be mitigating competitive  
19 behavior, then you don't have to be so concerned with  
20 the fact that it is applied to entities that clearly do  
21 not have market power.

22           Alternatively, if you structure it in ways  
23 where you think there's a substantial risk of applying  
24 it to competitive behavior and artificially sort of  
25 distorting the market outcome then it is useful to try

1 to curtail it as much as possible.

2 I don't view that as being much of a risk in  
3 MISO. The market power mitigation structure we have is  
4 sound.

5 One last thing I would say though was, if you do  
6 apply a different standard to pivotal suppliers, it is  
7 not the reference level that would change for the  
8 pivotal supplier.

9 The reference level should always address or  
10 reflect the short run marginal costs that a  
11 competitive supplier, would see who owns that unit, that  
12 doesn't change because I'm pivotal or I'm not pivotal.

13 What generally changes when you apply a  
14 different approach to pivotal suppliers is a tighter  
15 conduct threshold, so you give them less latitude.

16 DR. HYDE: Let me ask. When I heard you talk  
17 about pivotal supplier you seem to be presuming that  
18 that meant all of their capacity was needed rather than  
19 some portion of their capacity being needed?

20 DR. PATTON: Yes, some portion. You cannot  
21 do without all of it.

22 DR. HYDE: Right. What you said about what  
23 that different treatment might look at, we will get to  
24 in just a minute. That would be the next question.

25 Mr. Ali-Jabir.



1           MR. ALI-JABIR: I just have to disagree with  
2           the notion that if you have a pivotal supplier in a  
3           market that they do not have the ability and the means  
4           to exercise market power, I'm not sure if that was the  
5           implications in Dr. Patton's statement, and if it was,  
6           I would have to disagree with that.

7           But I think it is clear that, at least in this  
8           particular instance, that you have got a  
9           supplier whose supply was needed to clear the market  
10          and they basically knew what the reference level was and they  
11          bid up to that reference level so, essentially, it was  
12          a reference level that was setting the price of the  
13          markets.

14          I would very much agree with the notion that  
15          you have to mitigate pivotal suppliers.

16          In fact, the proposal that we put forward  
17          actually deals with the issue in a way that you don't  
18          have to focus on mitigation just on pivotal suppliers.

19          But I think at a minimum, if you are going to look at an  
20          alternative  
21          way of doing it, then you need to focus on pivotal suppliers as  
22          part of that equation.

23          DR. HYDE: Dr. Shanker.

24          DR. SHANKER: Yes. Clearly, you have to  
25          engage in a mitigation process for pivotal suppliers.

1 DR. HYDE: A different one than for --

2 DR. SHANKER: That is the first step. The  
3 difference would be if you are suggesting the reference  
4 price is calculated differently, I'm confused.

5 DR. HYDE: No, and in fact, the question was:  
6 Should they be subject to tighter mitigation? If you  
7 want to extend that the next part of the question is  
8 what could that different treatment look like,  
9 differences in the reference level or the conduct and  
10 impact thresholds they faced?

11 DR. SHANKER: The first half is the reference  
12 level is the reference level unless you are doing something wrong.

13 If we all sit here and say we have implied  
14 you can argue about cost of capital, you can argue  
15 about labor, and environmental impacts and going-  
16 forward costs on, let's assume, that we do that and  
17 that's a non-trivial assumption, then I think you default back  
18 to the type of a narrower conduct discussion or  
19 threshold.

20 I think again, it is in the energy market where  
21 Potomac and MISO have an adjusting process for conduct  
22 thresholds and some of the tighter load pockets where  
23 there are more likely to be the potential for the  
24 exercise of a market power party being pivotal. If that  
25 kind of tighter conduct review is what you have in mind

1 that seems perfectly reasonable, in the zone of  
2 reasonableness of your inquiry.

3 DR. HYDE: Mr. McCullough.

4 MR. MCCULLOUGH: I think we have lost sight of the  
5 fact that the pivotal supplier does not simply become  
6 pivotal in the auction. A pivotal supplier is pivotal  
7 in the market.

8 In fact, in some remote situation you could  
9 imagine the pivotal supplier's power was so great that  
10 they could exercise their power even outside the  
11 auction and the auction might even become irrelevant.

12 In that case we, are back to should the  
13 Commission have the power to specifically investigate  
14 pivotal suppliers and the answer is, yes, but I want to  
15 make it clear that it should also be more widely  
16 interpreted.

17 It is not simply a question of Dr. Patton's  
18 auction, not your auction, but the auction under your  
19 control, but it is the wider sense of what happens in a  
20 limited geographic area where we have one player who is  
21 now half the market.

22 It is a situation, as I said, hardly unique  
23 in U.S. history and it is one that's colored the economic  
24 development of areas for long periods.

25 I would recommend that the Commission use its

1 full powers to actually make sure it had every fact at  
2 its command, not simply a reference level in the  
3 auction which might only be part of the market that was  
4 affected by the market power.

5 DR. HYDE: Thank you. Dr. Shanker.

6 DR. SHANKER: Here Robert and I  
7 probably agree, but with different outputs which is that  
8 mitigation doesn't stand alone.

9 You have to look at the overall market design  
10 with a much different and from my perspective a much  
11 better market design, a lot of these things would  
12 change including the mitigation process.

13 When you freeze the rest of the MISO design  
14 which I think is very bad and I have testified before  
15 the Commission on that, then starting to pick off one  
16 item, well, I will make this mitigation a little  
17 tougher is from my perspective a foolish exercise in  
18 terms of equities and also analytically very, very  
19 difficult because you are ignoring all the different  
20 trade-offs that got you here.

21 If you go through the Commission's initial  
22 order many are arguments, many considerations, that  
23 were put forward as sources of concern were dismissed  
24 because of the 90 percent vertical integration in the  
25 market, and things like vertical demand curves were,

1 "Oh, do not worry about that, we are vertical." Well,  
2 suddenly you now have a megawatt shift in supplier  
3 demand pushing prices by predictably large amounts, be  
4 they to one mitigated level or another mitigated level,  
5 and it was just what you were told was coming. And if  
6 you're going to go back and look at the slice that this  
7 says, "I want to worry about mitigation," I don't think  
8 that's reasonable.

9           You have got to put everything on the table  
10 and start over again if you are going to do that.

11           DR. HYDE: Fair enough, but this panel is on  
12 mitigation.

13           DR. SHANKER: I do understand. I am just  
14 saying that the box is very small.

15           DR. HYDE: Yes, Mr. McCullough.

16           MR. MCCULLOUGH: And I am trying not use the  
17 "D" word. In the transfer of generation that led to  
18 this debate, there was a finding by the Commission  
19 itself that there was no relevant subregion. I think we all  
20 now agree that that was probably in error.

21           Can FERC Commissioners make errors?

22           I doubt it.

23           Here is where we really do have that  
24 requirement for a broader intervention. The question  
25 is: Was there a relevant subregion has to be

1 addressed and that will not be addressed with the  
2 reference level.

3 Under the reference level is a tool but what  
4 we have here is a question of geographic definition and  
5 I will stop there to not preempt the afternoon.

6 DR. HYDE: Let me ask, even though everyone  
7 seems to want to focus more broadly on this, if we do  
8 tighter mitigation for pivotal suppliers, should that be  
9 limited to those who are net long within the zone,  
10 recognizing that some sellers are also buyers that  
11 cancel out their positions.

12 DR. PATTON: Yes, if you don't do that then  
13 everyone is going to be pivotal. Yes, you need to look  
14 at their net positions.

15 DR. SHANKER: And not short on the other side  
16 of the market. Again, if you are going to be looking  
17 at mitigation, it should be symmetric with respect to  
18 buyers as well.

19 MR. MCCULLOUGH: In Zone 4, of course, we  
20 have numerous buyers and a few sellers but in theory  
21 this is correct. In the case we are not mentioning --

22 DR. HYDE: Right, let's not mention that one.

23 DR. SHANKER: Baltimore or something.

24 MR. MCCULLOUGH: The dreaded Baltimore case.

25 DR. HYDE: Switching gears just a little bit.

1       Should the initial reference level be made public prior  
2       to the auction, why or why not?

3               DR. PATTON:  There is some benefit to not  
4       making it public, but I suspect that nobody would stand  
5       for that.

6               You have set up a process in the tariff for  
7       us to use the best available data and publish something  
8       far enough ahead of time that they can comment to us,  
9       we can consider what they have to say about possible  
10      other sources of data or other assumptions and then  
11      they can also complain to you before the auction runs.  
12      If it were not public, that whole process would  
13      disappear.

14              DR. HYDE:  But what would be the benefits of  
15      making it non-public?

16              DR. PATTON:  The benefits of making it  
17      non-public?  It is always valuable when you are  
18      mitigating someone with market power for them not to  
19      know exactly where the lines are and the thresholds.

20              DR. HYDE:  Others?  Mr. McCullough?

21              MR. MCCULLOUGH:  Generally, we do not ask  
22      muggers what the patrol route of the patrol car is.

23              They would have comments and analytical  
24      advice and how you would determine the aforementioned  
25      patrol route.

1                   In the case we have here, a number of us have  
2                   cited what we refer to as the chicken and the egg  
3                   problem.

4                   When you have a pivotal supplier, that is  
5                   going to be a central issue. Of course, the  
6                   counterargument to that is it's so easy to identify a  
7                   pivotal supplier especially when it is one pivotal  
8                   supplier that you know that you are going to have that  
9                   chicken and the egg process.

10                  In general, in society, we keep enforcement  
11                  action secret from the people we are enforcing against.

12                  The IRS does not ask for my comments before  
13                  they audit me.

14                  If we are talking about pivotal suppliers,  
15                  this is all moot. We know who they are. We know that  
16                  if there's a dramatic shift in price we are going to  
17                  have to look into it which is basically why we are here  
18                  today.

19                  DR. HYDE: Dr. Shanker.

20                  DR. SHANKER: Could you clarify one thing in  
21                  your question. Was this to apply to pivotal suppliers  
22                  or are you just simply saying should the reference  
23                  price be public or not?

24                  DR. HYDE: This was simply not related to  
25                  pivotal suppliers just should the reference level be made



1 public prior to the auction.

2 DR. SHANKER: The answer to that then, the  
3 next question, in switching roles is, if the concept of  
4 opportunity cost is introduced, while there may be some  
5 dispute around that, I'm not sure what you accomplish  
6 by doing that.

7 DR. HYDE: By not providing?

8 DR. SHANKER: By not providing it. If  
9 conceptually there is a group of us here that seemed to  
10 believe that the opportunity cost concept is relevant,  
11 I suppose there is some variance in the ways about the  
12 process by which that might be determined.

13 Those are later questions as to which auction  
14 do you use, or do you weight them or vary them and  
15 things like that? But if that concept is in play, I am  
16 not sure that keeping it a secret accomplishes much.

17 DR. HYDE: Thank you.

18 DR. PATTON: I want to clarify the relative  
19 considerations that I articulated. I think the benefits you  
20 would give by not making it public probably are quite a  
21 bit smaller than the costs.

22 For one thing, you take into account that  
23 this regime and most all prospective mitigation regimes  
24 aren't designed to be punitive.

25 So if somebody offers above the reference level

1 gets mitigated to the reference level that's not a  
2 terrible thing from their perspective.

3 So it's not -- you know there would be --  
4 uncertainty about where the lines of thresholds are  
5 more beneficial in cases where you have a deterrent-based  
6 approach where tripping the screen is a really bad thing  
7 for them economically.

8 But on the other side when I mentioned the  
9 stakeholder process, we do actually learn things  
10 through that process and I think it's healthy to have to  
11 respond to comments.

12 I think Mr. McCullough and his clients would bear  
13 some costs, not having any idea whether we have come out  
14 with a reasonable reference or a reference level that  
15 they would consider unreasonable where they would want  
16 to protest and perhaps come to FERC so that the bad market  
17 outcome as they perceive it could be prevented.

18 DR. HYDE: Mr. Bladen.

19 MR. BLADEN: I think I am picking up a little bit on  
20 where David was just leaving off in that

21 there is potential in a transparent  
22 process to gather information that wouldn't necessarily  
23 be immediately available and if the Market Monitor has  
24 access to information they would not otherwise have  
25 access to you hopefully will end up with a much better

1 reflection of what the true opportunity cost is or a  
2 more effective representation of what the reference  
3 levels ought to be set to.

4 So you would lose that potentially if you had an  
5 opaque process as the willingness to share information  
6 might go down in that kind of process.

7 DR. HYDE: Thank you. All right. In the notice  
8 associated with this conference we indicated that we  
9 would ask this panel to discuss alternatives to PJM  
10 replacement capacity sales and major opportunity cost  
11 used to establish mitigation reference levels.

12 We pursued this topic to some degree in the  
13 previous panel, exploring the use of bilaterals and  
14 or other alternatives.

15 However everyone was not on the first panel,  
16 so what I would like to ask: Is there anything  
17 anyone would like to add here to that discussion of  
18 alternatives to use of the PJM replacement capacity  
19 sales for opportunity cost?

20 DR. SHANKER: One caution, I think you --  
21 I had alluded to this earlier. You need to remember that  
22 '15-'16 '16-'17 are years in which PJM has two different  
23 paradigms running and '17 -- maybe I am off by a year.  
24 1920 is the last one in which there are two different  
25 paradigms and that I think some work was probably done

1       that needed to address that.

2               My initial consideration is while those two  
3       paradigms are in place, one could argue what would be  
4       the greater of, although I think that is going to be a little  
5       difficult given the way particularly for the next two  
6       years, I don't know how that -- I think it is impossible,  
7       there will only be incremental auctions for the annual products.

8               But in the -- I am counting with my fingers, but  
9       it is the last two years it will be different and you will  
10      simultaneously have two things going on, and I think  
11      that a task that -- be it MISO or be it Potomac or the  
12      Commission, you are going to need to think through the  
13      change in those paradigms and what they entail and they  
14      should be a part.

15              You should not jump off to one of these  
16      without really thinking through what's happening in  
17      your reference.

18              I still think structurally at the very  
19      highest level this comparison is the right paradigm for  
20      opportunity cost. I think the details are going to get a  
21      little tougher.

22              MR. ALI-JABIR: Actually, can I add a little bit  
23      to that question. And it relates exactly to what you  
24      were saying.

25              What about not thinking of other paradigms

1 for opportunity costs by using the information you  
2 already have different.

3 Right now you are basically using just price  
4 and not quantity. What about using a combination of  
5 those things?

6 DR. PATTON: In what way?

7 MR. ALI-JABIR: For example, if you know that  
8 there is transmission constraints, the value, the price  
9 that you are using may have to be lower than what you  
10 actually see in the other market.

11 DR. PATTON: Well, yeah, I think that goes back to the  
12 question, if you have 3000 megawatts and there's 500 megawatts  
13 of transmission capability how do you account for the  
14 quantity.

15 And I think I'm still saying that at the margin the  
16 opportunity is the price in the neighboring market.

17 I cannot think of a reasonable way to  
18 incorporate that quantity into the reference level  
19 without artificially compelling suppliers to sell at  
20 less than they could have sold in the neighboring  
21 market, but I did want to note one thing that Roy said.

22 We have these capacity performance regimes  
23 sprouting up which are -- effectively create energy payments  
24 outside the energy market, and let's set aside whether  
25 this is advisable or not, maybe not.

1           What is embedded in the capacity product is  
2           now forward energy sale of this shortage energy thing  
3           that has been created.

4           The shortage energy thing is valued at a very  
5           very high shortage price or value of lost load.

6           So going forward as you think about the  
7           reference level and opportunity costs, now when a MISO  
8           capacity seller sells, they are selling something that  
9           is significantly different in PJM because it has got  
10          this embedded energy forward in it that they don't  
11          sell, if they sell their capacity to MISO. So that's  
12          going to need to be somehow accounted for once we get  
13          through the transition, but Roy is right, while we are  
14          in the midst of the transition and both capacity  
15          products are being sold, the old one without the energy  
16          sale and the new one with the energy sale, it's a bit  
17          of a mess.

18          DR. HYDE: I have three more and after that  
19          you are holding people away from their lunches.

20          Dr. McCullough -- Mr. McCullough, sorry.

21          MR. MCCULLOUGH: Thank you. Very quickly,  
22          the basis of all of our decisions has to be data.  
23          We need to reduce speculation as much as possible.

24          We have the trade date, the actual trade date  
25          of many of these capacity transactions in PJM and we

1       should use it. We are setting a reference date for a  
2       specific date in MISO.

3                We should look at all the transactions with  
4       the comparable products that immediately precede it  
5       and that will guide our decision.

6                It is not up to us to wish for the universe that  
7       should be. It is for us to use the actual data from the  
8       universe we are living in.

9                DR. HYDE: Mr. Bladen.

10               MR. BLADEN: I was mostly going to make the  
11       points that David Patton just made about the changing  
12       nature of the alternatives, the best alternatives that  
13       resources in MISO face.

14               I also feel like we should not lose sight of  
15       the fact that the need for reference levels based on  
16       opportunity costs in the neighboring system are in some  
17       sense a reflection of the degree to which price  
18       formation is effective in the neighboring system versus  
19       MISO system.

20               The reference level setting and opportunity  
21       costs of the best alternative in the neighboring system  
22       is probably second best, that you'd much rather  
23       have your opportunity costs based on good price  
24       formation within the current region.

25               Taking a look at that is probably not

1 something we should ignore.

2 DR. HYDE: Mr. Ali-Jabir.

3 MR. ALI-JABIR: Just one final parting  
4 thought I'd like to leave you with is that the  
5 remedy that we propose is tailored very specifically  
6 and narrowly.

7 We are proposing some incremental  
8 modifications to the MISO tariff that would address the  
9 problem for the next auction.

10 We have a very real reason, very real concern to  
11 believe that if something is not done in the short term  
12 to address the need for the next auction by setting  
13 that initial reference level to zero and we are getting  
14 to see a repeat of the results we just had, I do not  
15 discourage the broader discussions that we have had and  
16 all these are great questions and I think they should  
17 be explored through the stakeholder process and an  
18 addressed more broadly at FERC, but my concern is that  
19 if we venture exclusively into those areas, that those  
20 are more complicated solutions that are not going to  
21 address the immediate concern for the next auction.  
22 Thank you.

23 DR. HYDE: Yes, and our fourth panel has that  
24 as a question.

25 I want to thank this panel very much



1 and all of the morning panelists. You have been  
2 extremely helpful to us in the exploration of these  
3 topics.

4 We are going to break for lunch and return at  
5 1:15. For anyone who doesn't know the Sunrise Caf? is  
6 out the doors to the right as you exit the Commission  
7 meeting room.

8 There is also a good number of food trucks  
9 out there that I have heard on good authority that some  
10 of them are great.

11 Anyway, thank you all very much.

12 (Whereupon, the luncheon recess and on resuming  
13 at 1:15 p.m.)

14 SESSION 2: LOCAL REQUIREMENTS

15 DR. HYDE: If I could have everybody's  
16 attention. We are ready to get the conference  
17 underway.

18 Welcome back. We hope you had a good lunch  
19 and are ready to get back into the issues.

20 I do have one announcement kind of left over  
21 from the morning which is for anyone commenting on the  
22 mitigation alternatives such as an initial reference  
23 level of zero dollars per megawatt day, please describe  
24 how -- this is not here, but in your comments if you choose  
25 to provide any.

1           How, if at all, facility-specific reference  
2 level should incorporate rate of return depreciation  
3 in the future capital expenses that's left over from  
4 the morning.

5           I did want to address one thing this morning.  
6 We heard that there were "Six Wise Men," on the panel.

7           In fact, Emma and I talked about that over  
8 lunch and we decided that we could not let that go.

9           I would like to point out that we are  
10 planning to have this next panel "Two Wise Women" and  
11 hopefully "Three Wise Men."

12           The morning session was very lively and  
13 productive, I thought, so we will strive to have the  
14 same be true after lunch to help keep everyone awake.

15           Right now we are running on schedule so  
16 everything is going well that way.

17           Next, we are going to have Angelo  
18 Mastrogiacomo from the Office of Energy Market  
19 Regulation leading a session that will focus on  
20 calculation of local clearing requirements and zonal  
21 capacity import and export limits.

22           Angelo.

23           MR. MASTROGIACOMO: Thank you, Laurel. As  
24 Laurel mentioned Session 2 will discuss capacity  
25 import limits and local clearing requirements.

1                   I would like to start off by welcoming our  
2 panelists.

3                   We have from MISO, Mr. Kevin Vannoy, Miss  
4 Laura Rauch, and Dr. Renuka Chatterjee.

5                   We also have Dr. David Patton from Potomac  
6 Economics and Mr. James Daughinai from Brubaker &  
7 Associates.

8                   Mr. Daughinai will be speaking on behalf of  
9 Illinois Industrial Energy Consumers.

10                  Let's begin. Staff is interested in  
11 clarifying and further understanding a number of the  
12 statements made in these dockets about whether and to  
13 what extent capacity exports from MISO to neighboring  
14 regions such as PJM are reflected in MISO's calculation  
15 of the capacity import limits and local community  
16 requirements.

17                  Before I get to the questions, I will provide  
18 my understanding of the general positions of MISO and  
19 Mr. Daughinai to add some context to our discussion.

20                  MISO's position is that the counterflows  
21 resulting from capacity exports from MISO to  
22 neighboring regions are reflected in capacity import  
23 limits and therefore any further adjustment to the  
24 local clearing requirements would effectively double-count  
25 these exports.

1           Mr. Dauphinais's position is that capacity  
2 import limits do not reflect counterflows resulting  
3 from capacity exports from MISO to neighboring regions  
4 and therefore an adjustment to the local clearing  
5 requirement is necessary.

6           The first question is going to be for MISO's  
7 staff. Please clarify exactly how the counterflows  
8 resulting from capacity exports from MISO to  
9 neighboring regions are ultimately reflected in  
10 capacity import limits.

11           MS. RAUCH: Thank you for the opportunity to  
12 speak to this today. When you look at our capacity  
13 import limit, it is calculated through the combination  
14 of two variables.

15           The first is the base interchange of the  
16 model. This is actually the same interchange whether  
17 you are talking about imports or export limits.

18           The second is how much can you incrementally  
19 import or export, but for capacity import limits and  
20 import into the model on top of that.

21           Exports are included in that base model and  
22 they would directly impact the base interchange of the  
23 model itself.

24           When you look at the incremental imports that  
25 are allowed due to the exports there is some impact due

1 to the exports included in the model, however it is not  
2 a one-to-one.

3 The interchange itself is a summation of all  
4 the imports and exports net schedule interchange going  
5 into a zone.

6 The total transfer, the incremental transfers  
7 that are allowed are basically a transfer over and  
8 above, so it is trying to find out what you can import  
9 and tell specific portions of the system hard-to-find.

10 The impact of that export would be relative  
11 to where that specific binding occurs on the system, so  
12 it would be some distribution factor multiplied by the  
13 export amount, not a direct one-to-one.

14 MR. MASTROGIACOMO: Thank you.

15 Mr. Dauphinais, could you expand on your  
16 position that the counterflows resulting from capacity  
17 import or capacity exports from MISO neighboring regions  
18 are not reflected in the capacity import limits?

19 MR. DAUPHINAIS: Yes. Laura is correct in  
20 regard to the base interchange being in the model that  
21 is used to calculate the first contingency incremental  
22 transfer capability, but the problem is that that first  
23 contingency the incremental transfer capability is not  
24 the number used to set the capacity import limit  
25 directly.

1           What has happened is the first contingency  
2           incremental transfer capability number is adjusted by  
3           the base interchange to produce the first contingency  
4           total transfer capabilities.

5           What happens is we first have it in the base  
6           interchange, but we didn't take it out. We go from the  
7           first contingency incremental transfer capability  
8           number to a first contingency total transfer capability  
9           number.

10           The solution that really has been put forward,  
11           and really was something originally identified by  
12           Dr. Patton, is really to use the first contingency  
13           incremental transfer capability rather than the first  
14           contingency total transfer capability because that  
15           would then reflect the base interchanges with one  
16           caveat.

17           The base interchanges are based on long-term  
18           firm transmission reservations that already exist.  
19           That is not necessarily the same thing as the capacity  
20           transactions that are being exported for sample out to  
21           PJM.

22           There can be a mismatch there and that is an  
23           issue that may need to be resolved.

24           What we do know is, and maybe Dr. Patton will  
25           Be able to expand on this, is that he has some insight in

1 regard to how much, what the size of those capacity  
2 exports are, and so those numbers can be used more  
3 directly.

4 The distribution factors are not one-for-one,  
5 but neither are they inside MISO for when resources in  
6 one local resource owner used to apply to a different  
7 local resource owner.

8 We already have that mismatch.

9 MR. MASTROGIACOMO: We will get to that later  
10 and we will also get to Dr. Patton's recommendation  
11 a little bit later. Is there anything else to add?

12 MR. DAUPHINAIS: No, thank you.

13 MR. MASTROGIACOMO: MISO staff should have  
14 the opportunity to respond to that, if you would like.

15 MS. RAUCH: The concern with using an  
16 incremental value rather than a total value is the  
17 system does function and the limits should reflect all  
18 of those on the system.

19 Incremental assumes that you have the static  
20 starting point, and certainly when you look at the total  
21 value that's a better representation of what the system  
22 can hold.

23 So I think there would be some concerns that  
24 we would need to work out with an incremental. We believe  
25 that representing the base interchange as a start and

1 recognizing that zones may substantially import or  
2 export just as per normal system conditions is  
3 something that should be accurately reflected.

4 MR. MASTROGIACOMO: Thank you.

5 Dr. Patton, would you like to give your opinion?

6 DR. PATTON: Sure. In part because this has  
7 been a recommendation, I felt like there is a little bit of  
8 confusion about the extent to which counterflows are  
9 included or not included.

10 I distributed a PowerPoint that has got some  
11 illustrations that I understand is going to be in the  
12 record.

13 The depiction on slides 4 and 5 sort of capture  
14 what MISO is currently doing. Let me say what MISO is  
15 currently doing is clearly consistent with their  
16 tariff.

17 There's not some problem that we need to  
18 solve with regard to how the auction was run in this  
19 most recent auction, so my recommendation pertains  
20 purely to the future tariff changes.

21 On slide 4 what this is essentially showing  
22 you is in a world where there is no base transfers, the  
23 capacity import limit would simply be the total  
24 transfer capability that you get when you  
25 hypothetically model power coming in from all



1 directions, and let us say that is 2000 megawatts, then the  
2 capacity import limit is 2000 megawatts.

3 But when you go to slide 5, now you have a  
4 base transfer of 1000 megawatts that I show you here. You  
5 stick that in and now you are going to find when you  
6 run your power flow that you can bring more power in  
7 incrementally.

8 But because the capacity import limit is the  
9 total transfer capability those are going to net out,  
10 and in this case, I am imagining that they net out  
11 one-for-one so you are just back to 2000.

12 If you were to look at this picture you would  
13 say, "There's no difference between the first picture  
14 and the second picture," so we are ignoring the fact  
15 that there is an export and MISO is saying they are not  
16 ignoring the fact that there is an export, so how do  
17 you reconcile those two.

18 You reconcile those two because the base  
19 power transfer might affect constraints differently and  
20 the power coming in from all directions.

21 MISO may find when they run this analysis  
22 that instead of getting back to 2000 they get back to  
23 1800 or 2200. There is really no way of telling whether  
24 the modeling the export is going to slightly increase  
25 or slightly decrease what you get when you do this

1 exercise.

2           It is just a matter of whether that base  
3 transfer hits the same constraints as the imports you  
4 are modeling or not.

5           They are not modeling counterflow in the  
6 sense that power is going out so we're going to allow more  
7 capacity sales to come in.

8           They are modeling it in the sense of getting  
9 a TTC value that is -- that sort of assumes this power  
10 transfer is happening, but that is not the same as modeling a  
11 capacity counterflow transaction, which is my recommendation,  
12 and that is depicted in slide 7, the very last one, which would  
13 be moving towards having the capacity import limit reflect --  
14 where you would not be deducting the export, you would be  
15 treating the export as if it's going to facilitate the  
16 ability to import more, so in that case you have a  
17 bigger capacity import limit because the capacity  
18 export is scheduled.

19           It is important to note that the  
20 recommendation only pertains to capacity exports, not  
21 to all firm service that is reserved going out.

22           So the base transfers I think include all firm  
23 reservations, so this morning we talked about the fact  
24 that there is something like 7000 megawatts reserved to PJM,  
25 but there is only -- in an outcoming capacity there is only

1 about 3000-some capacity exports.

2 You certainly would not want to do this  
3 recommendation with the 7000 in firm reservations.  
4 It's only the capacity exports that are relevant.

5 MR. MASTROGIACOMO: Thank you.

6 Dr. Chatterjee.

7 DR. CHATTERJEE: Thank you, David. Dr.  
8 Patton has made this recommendation to address  
9 specifically exports that are capacity exports not from  
10 reservations that produce counterflows.

11 These are capacity exports specifically in  
12 the context of PJM and that's why I think this issue  
13 got linked with the complaints that we have in front of  
14 us.

15 As we look at it --- you know, just to kind  
16 of go back to, we do model the following fund  
17 reservations that allows the modeling of counterflows  
18 in the base floor itself like Laura mentioned.

19 It is actually documented in our tariff as  
20 well as our business practices.

21 This new way of treating capacity exports  
22 differently than how we treat -- technically capacity  
23 exports to require firm reservation so you could say  
24 that they are one and the same.

25 What we are talking about here are

1 specifically people have, just because somebody bought  
2 a fund reservation does not mean they have a firm  
3 capacity export.

4 We are talking about specifically if they  
5 have firm commitments, firm capacity commitments to PJM  
6 that they be modeled differently and we are looking at  
7 that recommendation to evaluate.

8 We do not think we will be able to get that  
9 in the next auction, but I think we can certainly  
10 locate it for the '17-'18.

11 In fact, I want to try and maybe bring to  
12 the attention to the broader research adequacy efforts  
13 that MISO is engaged in right now.

14 We have three different initiatives. We  
15 were looking to get the seasonal, locational and the  
16 cuneiform under the location.

17 This ties together. I promise.

18 Under locational, one of the things that we  
19 are looking at is treatment of external resources, so  
20 certainly, we are looking at when a resource wants to  
21 import into MISO and a resource outside of MISO  
22 wants to sell capacity into MISO, we are looking at how  
23 we treat that resource.

24 At the same time we are looking at the same  
25 recommendation from Dr. Patton where there is the

1 resource inside MISO that wants to export capacity out.

2 We are working with stakeholders on those  
3 questions and will bring forward changes as we see  
4 fit to the current tariff.

5 MR. MASTROGIACOMO: Thank you.

6 Mr. Dauphinais?

7 MR. DAUPHINAIS: One of the concerns we have  
8 had with this issue is that it was raised in Dr.  
9 Patton's 2014 State of Market Report.

10 This has not been to date part of the  
11 stakeholder discussion resource adequacy. We have  
12 raised it, Illinois Industrial Energy Consumers in  
13 preliminary comments, in that stakeholder process, but we  
14 have also emphasized that this is not a '17-'18  
15 issue.

16 This needs to be resolved much sooner than  
17 '17-'18. It is really showing a real  
18 unreasonableness in the way we determine capacity  
19 import limits.

20 We should not be leaving on the table  
21 anything that is understating either capacity import  
22 limits or capacity export limits.

23 It is important that it be resolved. Where  
24 this has shown up has been in the follow-up  
25 presentations that MISO has given to Dr. Patton's State

1 of the Market Report, and that is not really why it is  
2 being reported in the stakeholder process and has not  
3 really been worked on in the stakeholder process.

4 Ultimately, though, this is a question of  
5 Reasonableness, and questions of reasonableness that  
6 average a need are really not something that belongs in  
7 the stakeholder process that need to be resolved more  
8 immediately and that's why it's the subject of EL1582  
9 when it was filed.

10 MR. MASTROGIACOMO: Thank you.

11 Dr. Chatterjee?

12 DR. CHATTERJEE: Part of the reason for the  
13 timeline is driven by existing requirements in the  
14 tariff.

15 For the upcoming planning auction we have to  
16 finalize the import/export limits and the auction  
17 parameters, including the reserve margin, by November 1.

18 A part of the issue is that this  
19 recommendation was made in June. We have spent some  
20 time trying to understand this recommendation with  
21 Dr. Patton on how to proceed.

22 We still are working through some of those  
23 questions as we speak.

24 Our tariff has a specific requirement by  
25 November 1 to finalize, so that is what is driving what

1 can be done for '15-'16 auction.

2 Plus there is a lot of value and discussion  
3 in the stakeholder process where when we have capacity  
4 import limits and export limits there is extensive  
5 discussion on why and what changed along the way.

6 We start in February to finish in November.  
7 That's how long it takes to finalize those numbers just  
8 given the volume of input and calculations involved in  
9 that process.

10 MR. MASTROGIACOMO: Theoretically, if that  
11 November 1 deadline did not exist?

12 DR. CHATTERJEE: We are still cutting it  
13 Close, right. So the auction is run in April. We  
14 are cutting it pretty close. Even if we did not have  
15 November 1 for us to take a recommendation and implement  
16 it, unless it was a simple parameter change we are talking about  
17 network analysis and things like that.

18 We would also have to have a way of verifying  
19 with PJM that these resources do have firm capacity  
20 exports, so we have to have something in place so we  
21 don't take just the market participant's word.

22 We will have to have some additional mechanisms  
23 in place to validate that these are true exports that  
24 are going and then to make sure we are not causing any  
25 other auxiliary impacts to our current calculation of

1 capacity export and import limits.

2 MR. MASTROGIACOMO: Thank you.

3 Mr. Dauphinais?

4 MR. DAUPHINAIS: This seems to be exercising in  
5 potentially making the perfect enemy of the good.

6 I think it's -- I will get back to the  
7 comparability issue. We are not doing all of this counterflow  
8 inside MISO, which we know a local resource owns. We are  
9 using a fairly simplistic model.

10 It is basically capturing inherently to  
11 counterflow when the auction solves, so there's no  
12 rerunning of LR calculations or capacity import limits  
13 or capacity export limits for the internal zones when  
14 we do this.

15 It just shows up in the auction solution  
16 because we have resources clear in one zone versus  
17 another based on the offer prices and the constraints.

18 Similarly here, what we are just doing is trying  
19 to reflect an affect that is going to come from the  
20 fact that we know capacity has already cleared in this  
21 case in the PJM auctions.

22 We know what it is and all we are doing is  
23 trying to capture a comparable treatment.

24 It is important to realize in rate design,  
25 and in market structure design, we do not always get it



1 perfect. We try to do as good, as close as we can practically  
2 get it to, and then to work with that, trying to do  
3 it in a way that does not create market distortions.

4 Thank you.

5 MR. MASTROGIACOMO: Okay. Let's move on. So  
6 as we mentioned earlier, there has been disagreement on  
7 the impact capacity exports from MISO to neighboring  
8 regions should ultimately have on the local clearing  
9 requirements.

10 Again, I'll briefly summarize my understanding of  
11 the positions to add some context to our discussion.

12 MISO's position as stated earlier is that  
13 there is not a one-to-one relationship between exports  
14 from a local resource zone to a neighboring region in  
15 the amount of capacity that can be imported into that  
16 local resource zone.

17 Mr. Dauphinais's position is that the same  
18 one-to-one relationship that MISO already applies to  
19 capacity exports from one local resource zone to  
20 another, whether through the auction or a fixed  
21 resource adequacy plan, should apply to exports to a  
22 neighboring region.

23 We will start with Mr. Dauphinais this time.  
24 Can you please explain why capacity exports from MISO to  
25 neighboring regions should have the same one-on-one

1 impact on the local clearing requirement as capacity  
2 exports from one local resource zone to another?

3 MR. DAUPHINAIS: It is really settled on a  
4 comparability basis. The distribution factors for  
5 exporting capacity from one local resource zone in MISO  
6 to another are not one-to-one.

7 They are not one-to-one and neither are the  
8 exports out of MISO. Neither one are. It is an  
9 approximation that is currently utilized under the  
10 zonal model that were using in MISO.

11 All, again, we're trying to do is comparability.  
12 What were doing inside MISO should be comparable to  
13 what we are doing outside of MISO.

14 If our capacity is being exported to PJM we  
15 are going to have the similar effect. It won't be  
16 exactly one-to-one, but it's not exactly one-to-one for  
17 the interim transactions either.

18 Thank you.

19 MR. MASTROGIACOMO: Thank you.

20 MS. RAUCH: Thank you. So I think  
21 the differentiation between the two is our study of transfer  
22 limits related to the resource adequacy process has two stages.

23 The first is the establishment of capacity  
24 import and export limits.

25 The second is what we call a simultaneous

1 feasibility test, or SFT, which actually occurs after the  
2 auction is run.

3 In that we change from looking at it on a single  
4 zone to looking at the entire footprint in making sure  
5 that the transfers in the system that cleared out  
6 auction are comparable.

7 I don't believe that we have anything, or I am  
8 not aware of anything, similar that would have the MISO  
9 capacity auction results and the PJM capacity auction  
10 results and have that same level of technical writer.

11 MR. MASTROGIACOMO: Thank you.

12 Dr. Patton?

13 DR. PATTON: Yes. I am a big fan of not letting  
14 the perfect be the enemy of the good.

15 When you look at this issue, if you imagine  
16 that most of the firm capability is subscribed to PJM, so  
17 that is going to remodeled and you're going to come up with a  
18 capacity important limit and a local clearing  
19 requirement, let's say this unit has not been exported  
20 yet, you have a 500-megawatt unit there, you're going to  
21 credit it with satisfying 500 megawatts of your local  
22 requirement.

23 Then if they happen to hold firm transmission  
24 or they acquire it from somebody else and they export  
25 the 500 megawatts, what has changed from the perspective of

1 serving the needs of that locals zone?

2 Well, not a lot has changed.

3 You still have an operable 500-megawatt unit. It  
4 has obligations to be operable and to report outages.  
5 In most cases, it is still going to be committed and  
6 dispatched by MISO.

7 So that means, I think, adjusting the local clearing  
8 requirement one-for-one with the export. All that does  
9 is treat the units similarly before the export versus  
10 after the export.

11 I treat it as a 500-megawatt unit before it was  
12 exported. If I reduce my local clearing requirement by  
13 500 megawatts then I get exactly the same outcome afterwards  
14 that I am --- you know, I'm recognizing there is a  
15 500-megawatt unit sitting in the middle of this load pocket  
16 that gets dispatched by MISO, I am going to help relieve  
17 congestion into the pocket, and so forth.

18 What does not make sense to me is treating it  
19 like a hole in the ground, like all of a sudden this  
20 capacity has just disappeared.

21 I know in capacity discussions it is routine  
22 for people to sort of pretend that if capacity has been  
23 sold someplace else that if somehow no longer exists.

24 Well, I will not get into other topics, but in any  
25 case that's my simple way of thinking about it. Thank you.

1 MR. MASTROGIACOMO: Mr. Dauphinais.

2 MR. DAUPHINAIS: I agree with what Dr. Patton  
3 just said, but I will add as well, that the  
4 simultaneous feasibility step could be added for these  
5 exports pretty readily as well.

6 It could be addressed in that way if that is  
7 a significant issue and we certainly will look at that  
8 issue and reflect that in our November 4th comments.

9 MR. MASTROGIACOMO: Thank you.

10 Let's move onto another specific example, actually,  
11 this is from MISO's staff.

12 It would be helpful to understand the actual  
13 impact that capacity exports from MISO to neighboring  
14 regions have had on capacity import limits.

15 Let's look at Local Resource Zone 4, for  
16 example. The record indicates that approximately 1200  
17 megawatts from Local Resource Zone 4 was exported to  
18 PJM for the 2015-'16 planning year.

19 Can you quantify the actual impact that these  
20 exports had on the capacity import limit for Local  
21 Resource Zone 4?

22 DR. CHATTERJEE: No. As we discussed, this is  
23 modeled as a base flow and we start calculating from  
24 there on.

25 For example when you talk about Zone 4, and

1 if there were 1200 that went to PJM, and let us say  
2 there was 300 coming back from SPP, so you would see a net  
3 interchange for that local zone for all the exports and  
4 imports that go in and out of that.

5 When we model base flow it is the LB, or the  
6 local balancing area, that we are modeling.

7 You would see that net model for all of the  
8 external exports and imports, that's what gets modeled.

9 I cannot directly quantify what the impact of  
10 single export from Zone 4 to PJM would be.

11 MR. MASTROGIACOMO: So there are --- okay.  
12 It would be helpful maybe in the comments post technical  
13 conference to include some more information on the net  
14 base flow.

15 Okay. Let's move to the next topic.

16 Prior to the 2014-'15 planning year, MISO  
17 changed the methodology it uses to calculate capacity  
18 import and export limits by expanding the set of  
19 constraints it examines to include all constraints that  
20 are managed by MISO when it previously only examined  
21 constraints at 200 Kv and above.

22 This change in methodology appears to have  
23 had significant impact on capacity import limits.

24 For example, the capacity import limit for  
25 Local Resource Zone 4 was 6,614 megawatts for the 2013-'14

1 planning year and dropped to 3,025 megawatts for the  
2 2014-'15 planning year.

3 Can MISO staff explain why this change was  
4 Necessary, and did ignoring constraints below 200 Kv  
5 present reliability issues, and if so, do you have any  
6 examples to cite?

7 MS. RAUCH: When we set up our process for  
8 the 2013-2014 auction, one of the things we spent quite  
9 a bit of time was discussing what constraints should be  
10 included in determining capacity import limit, and we had  
11 considered both 200 Kv and above in all facilities  
12 under MISO functional control.

13 After we had a little bit more experience,  
14 after we had heard some more from stakeholders, we  
15 realized that we were not representing constraints that  
16 would appear in real time by not including sub-200 Kv  
17 facilities under MISO's functional control, which can  
18 include facilities that are typically 100 Kv and above,  
19 but sometimes less.

20 It was through that stakeholder process that  
21 we raised the issue again, discussed it, and then  
22 implemented in the '14-'15 year to correspond with  
23 what we do in other planning studies, how we typically  
24 maintain system reliability and also what is monitored in  
25 real time.

1                   MR. MASTROGIACOMO: Were there any examples  
2 that presented specific reliability issues? If so,  
3 you can add it in the post conference brief if you file  
4 one.

5                   MS. RAUCH: One quick example is even if you  
6 look at Local Resource Zone 4, in the 2013  
7 auction, the 200 Kv and above constrain was a 345 Kv  
8 line.

9                   If you look at the constraints that showed up  
10 in '14-'15 and '15-'16 they were at 345 to 138  
11 Kv transformers, so still a substantial system element  
12 that set the limit.

13                   We don't have a one-to-one tie on realtime,  
14 but it would be situations like that where this is a  
15 key facility that would have impacts on how much input  
16 capability you have.

17                   MR. MASTROGIACOMO: Thank you.

18                   Dr. Patton.

19                   DR. PATTON: Yes. Quick -- from my perspective,  
20 I am always a fan of modeling everything because when you  
21 don't model you don't get the right outcomes from the  
22 market.

23                   I think the only --- the only real rationale  
24 for not modeling a facility would be that you have  
25 some operating procedure for managing it that doesn't



1       require the presence of a generator, so if you have a  
2       low cost way of opening a breaker for a very low  
3       voltage facility then maybe you would say to yourself,  
4       "Well, maybe we don't want our market  
5       to procure capacity when we're not going to manage it  
6       that way."

7                I think that's a very small portion of MISO's  
8       facilities that they added when they made this change.

9                I think generally, this is a very good thing that  
10      they improve the accuracy of their model to reflect  
11      more of the constraints.

12               I think when you ask for reliability, problems of  
13      not modeling it, it puts the burden of proof on modeling  
14      versus not modeling.

15               I think the burden of proof should be on the other  
16      direction, not only because of what I just said, but  
17      also because when you are emerging from a surplus  
18      capacity regime where you have pretty much all the  
19      capacity you need in all zones, you are not going to be  
20      able to point to reliability problems.

21               You will get a reliability problem when you  
22      get to the point where you're effectively short  
23      somewhere because you didn't model a constraint that  
24      would have caused somebody to build something in a  
25      local area, but that will not manifest itself for a

1 number of years.

2 MR. MASTROGIACOMO: Thank you.

3 Mr. Dauphinais.

4 MR. DAUPHINAIS: Yeah. I would draw the  
5 Commission's attention to the affidavit of Melissa  
6 Whitehead and I think it is in the EL1571-72 dockets.

7 She had an extensive discussion on this issue  
8 of the change to the lower voltage facilities and maybe  
9 that may have prompted the questions today.

10 One of the interesting things is that MISO actually stated  
11 in a presentation on 2013-2014, really not  
12 the presentation, but the actual LOLE Report in November  
13 of 2013 that it was unreasonable to reach down below 200 Kv  
14 facilities and then we had a change in the very next  
15 year and so we're doing that.

16 There is a reconciliation issue that needs to  
17 be carefully resolved. There is another little challenge in  
18 all of this.

19 This gets to the transparency and how much  
20 discretion is being used in developing these capacity  
21 import limits and capacity export limit values.

22 MISO on October 15 of this year made a  
23 presentation to the LOLE Working Group of MISO and have  
24 proposed the new capacity import limits and capacity  
25 export limits that will be in the November 1, 2015 LOLE

1 Report.

2 We've got a significant increase in the  
3 capacity import limit as well as capacity export limits  
4 for Zone 4.

5 Among the explanations given are relaxation  
6 of generation redispatch rules that better align with  
7 operations and external modeling differences and PJM  
8 was cited as well as a few other things, as well as  
9 generation retirements.

10 There seems -- it appears that it is moving  
11 around and it is moving around significantly from  
12 year-to-year. We really need to resolve why that is  
13 moving around and get more transparency on the calculation  
14 to these numbers and less discretion in them so they don't  
15 move around from year-to-year simply because we are  
16 changing the way we look at it this year versus last year  
17 without having a well-reasoned process where we are  
18 confident that this change will not be reversed that  
19 we did in the previous year.

20 Some of this is coming up in the Resource  
21 Advocacy Stakeholders discussions and hopefully will be  
22 vetted more thoroughly there.

23 MS. RAUCH: Thank you for the kickoff there.  
24 I was just going to refer to the locational discussions  
25 that we are working through.

1           Certainly, we recognize that when you're  
2           trying to plan for resources, volatility is something  
3           that we should try to understand and not eliminate if  
4           it's explainable but eliminate anything that might be  
5           due to changes in models and can't be tracked back to  
6           the real world.

7           One of the initiatives in the locational  
8           resource adequacy process we are going to with  
9           stakeholders is, how do we understand volatility around  
10          capacity imports and export limits? And what should we  
11          do to try to mitigate that to the extent that it is not  
12          explainable and do more to the mathematics of models  
13          than due to real-world events.

14          MR. MASTROGIACOMO: Thank you. We are going  
15          to discuss Potomac Economics recommendation in the 2014  
16          MISO State of the Market Report.

17          You have already talked a little about that.

18          Would you like to add to the discussion or should  
19          we move on?

20          DR. PATTON: No, I think I have covered it  
21          unless you have other questions.

22          MR. MASTROGIACOMO: I don't think so.

23          The next recommendation was in the publicly available  
24          resource advocacy straw proposal on local considerations.

25          MISO staff proposed to change the calculation

1 of local clearing requirement by introducing a new  
2 term, import adjustment.

3 Can anyone from MISO's staff please describe  
4 this proposal and explain why it's necessary?

5 MS. RAUCH: The caveat I will start out with  
6 is that we are still in the middle of our stakeholder  
7 process here.

8 We get a lot of great feedback from our  
9 stakeholders and don't want to discount that by saying  
10 it's a solid proposal now.

11 The premise behind looking at capacity import  
12 limits and this import adjustment is trying to  
13 reconcile firm transmission service of some sort.

14 We have not solidified exactly what that  
15 meant and might adjust based on today's discussion and  
16 saying that if we have a firm transmission service that  
17 that might be something that's worth adjusting the  
18 capacity import limit.

19 You would have the capacity import limit that  
20 would be studied and then we would compare it to your  
21 firm transmission service levels and see whether those  
22 firm transmission service show that you can reliably  
23 import more.

24 The rationale for this difference is when you  
25 look at capacity import level it's all directions from

1 within MISO into a particular zone, so there might be  
2 some optimization that you can do with a particular  
3 transmission service request to have more come in from  
4 the East when the constraint is binding from the West.

5 MR. MASTROGIACOMO: Mr. Dauphinais?

6 MR. DAUPHINAIS: We think it's worthwhile  
7 with what MISO is exploring in the stakeholder process,  
8 but what we don't want lost is an immediate need to  
9 address the specific recommendation we made in our EL  
10 1582 filing with regard to reflecting exports at leased  
11 to PJM into the calculation of the local clearing  
12 requirement zones.

13 However, we think there is merit to looking  
14 at the more detailed issues and resolving those longer term  
15 issues through that stakeholder process that MISO has  
16 initiated on resource adequacy.

17 MR. MASTROGIACOMO: Could this recommendation  
18 be implemented for the upcoming planning year?

19 MS. RAUCH: I think there would be some  
20 logistical issues around, first, refining what the  
21 proposal is.

22 The second thing is, and in addition to what  
23 Renuka mentioned earlier is, we've had some  
24 stakeholders who said they really start planning their  
25 response to the auction this timeframe, so changing

1 limits after this point would put them at a  
2 disadvantage because they'd have to expedite their  
3 planning process and really wouldn't lose some time on  
4 that front.

5 I think there are some logistical issues from MISO,  
6 but I think there would also be some concerns from some  
7 stakeholders.

8 MR. MASTROGIACOMO: Thank you. Would anyone  
9 else like to add anything before we end this session?

10 Mr. Dauphinais?

11 MR. DAUPHINAIS: Yes, upsetting the plans of  
12 our individual market participants it has to be weighed  
13 against whether something is reasonable, that something  
14 is clearly unreasonable, then it needs to be addressed  
15 even if it upsets the plans of certain market  
16 participants.

17 MR. MASTROGIACOMO: Thank you. If there's is  
18 nothing else, this discussion has definitely provided  
19 me with a better understanding of the way MISO  
20 calculates capacity import limits and local clearing  
21 requirements.

22 I'd just like to thank everyone else on  
23 the panel and move back to Laurel.

24 DR. HYDE: We are just going to take five  
25 minutes that will be long enough to switch out a few

1 tents and get started on our next panel.

2 Thank you.

3 (After a short break on resuming.)

4 SESSION 3: ZONAL BOUNDARIES

5 DR. HYDE: This next panel, Dr. Emma  
6 Nicholson of the Office of Energy Policy & Innovation  
7 will lead this session.

8 It addresses current zonal boundaries for the  
9 planning resource auction and the criteria used to  
10 establish zonal configurations.

11 Emma.

12 DR. NICHOLSON: Thank you, Laurel, and thank  
13 you all for participating today, so let me go down the  
14 line to introduce our panelists.

15 From MISO, we have Kevin Vannoy.

16 Also from MISO is Laura Rauch.

17 Dr. Renuka Chatterjee from MISO.

18 Dr. David Patton from Potomac Economics who  
19 is MISO's external independent market monitor.

20 We have Marcus Hawkins who is from the  
21 Wisconsin PSC, but also is going to be speaking on  
22 behalf of the OMS, the Organization of MISO States.

23 John Chiles from GDF Associates who is  
24 speaking on behalf of Southwestern Electric Cooperative  
25 and Tia Elliott from NRG Energy.



1           Thank you again for discussing this topic  
2           with us. As Laurel mentioned, we are going to be  
3           talking about zonal boundaries in MISO's capacity  
4           auction.

5           According to Sections 68(a)(3) of Module E1  
6           of MISO's current tariff, the geographic boundaries of  
7           each zone are based on an analysis that considers the  
8           following six criteria.

9           I am reading from the tariff here.

10          The electrical boundaries of local balancing  
11          Authorities, state boundaries, the relative strength of  
12          transmission interconnections between local balancing  
13          authorities the results of loss of load expectations  
14          studies, the relative size of zones and the natural  
15          geographic boundaries such as lakes and rivers.

16          It is readily apparent upon looking at a map  
17          of the MISO zones that local balancing authorities and  
18          state boundaries have influenced the current zonal  
19          configuration.

20          Commission Staff is aware that MISO is  
21          currently in the middle of reviewing certain aspects of  
22          the planning resource auction, including the current  
23          zonal configuration.

24          And according to the straw proposal that we  
25          touched on briefly in the last panel, page two of that

1 proposal it says, "the current locational model defines  
2 zones based on several factors in addition to transmission  
3 constraints."

4 This results in the current locational model  
5 limiting the use of resources outside of zonal  
6 boundaries because of perceived transmission  
7 constraints that do not actually exist.

8 Furthermore, its zones are too large.  
9 Specific constraints may be masked and key signals are  
10 needed to resolve locational constraints may become  
11 muted.

12 Its zones are too small. They may mistakenly  
13 indicate a resource shortage.

14 My first question to MISO, if you could first  
15 brief -- talk us through this straw proposal at a top level and  
16 also explain to us and to elaborate on the statements  
17 that you made on that, that I've just quoted here as to  
18 what particular elements of locational model of  
19 boundaries and cells might create perceived  
20 transmission constraints that do not exist.

21 MS. RAUCH: When you look at the straw  
22 Proposal, we're essentially trying to keep with the  
23 same principles that we have right now regarding local  
24 resource zones, but to recognize there's many  
25 just and reasonable ways to make sure that we have the

1 right solution.

2 It is opening up the zonal boundaries for  
3 that discussion.

4 There are several things and we do consider  
5 them and you listed the six in our tariff. It comes  
6 down to, do you have the right transmission constraints  
7 reflected in the system and also are you respecting  
8 other things such as transparency?

9 For example, some of the zonal boundaries  
10 that you look at and some of the drivers you will see  
11 things like the boundaries of states and that does  
12 reflect the importance of states and resource adequacy  
13 in the MISO footprint. So certainly, the goal of our  
14 revisions is not to dilute those or to change the drivers  
15 but to see if there is a better way to recognize the  
16 transmission limitations and also the key roles such as  
17 those states and resource adequacy in the MISO  
18 footprint.

19 What we are trying to do is somewhat of a  
20 Goldilocks problem.

21 We are trying to make sure that the zones are  
22 just right and by doing that, trying to see what signal  
23 should we be sending in an auction.

24 What signal should we be sending from a  
25 transparency point of view especially when we get into

1 the out years and have some dialogue with load serving  
2 entities and states on that. And so the proposal we have  
3 right now has a few different layers in it and this is  
4 said with the caveat that it's still a work in  
5 progress.

6 But it is trying to look at what should that  
7 balance be? Is there a difference from what's used in  
8 the auction and what might be used for a transparency  
9 point of view?

10 So that is what we are working with  
11 stakeholders to determine.

12 DR. NICHOLSON: Thank you. I'd also like  
13 to ask everyone else on the panel an opportunity to  
14 reflect on the current proposal and, I guess, in particular,  
15 the potential for transmission constraints that actually  
16 exist to be borne due to the definition of zonal  
17 boundaries and also some of the political  
18 considerations involved in developing zonal boundaries.

19 Just put your tent card up if you would like  
20 to make a statement.

21 David Patton?

22 DR. PATTON: Yes. I am a big fan of having local  
23 requirements to the extent you need local requirements.

24 Actually, I think MISO is ahead in a lot of areas for  
25 any of you who watch the wars in New York over the

1 lower Hudson Valley Zone.

2           Having zones is a good starting point for  
3 having the willingness to have a number of zones is a  
4 good starting point.

5           I generally think you have a bigger problem  
6 when zones are too big than when they are too small and  
7 when they are too small if you are modeling things  
8 appropriately the prices should converge and if I had  
9 three small zones with no constraints between them I  
10 should get the same price on all three of them.

11           I do not have to artificially merge them into  
12 one zone to get the right outcome.

13           But I think with regard to departing from the electrical  
14 topology of the system and defining zones based on some  
15 other factor that's not related to the network, you can  
16 run into a problem because say all of our zones match  
17 state boundaries and I am modeling Indiana and the  
18 constraint and a modeling power coming in from all  
19 different direction and the constraint that happens to  
20 bind is in the middle of Illinois or something.

21           At that point, I will say, okay, I have a capacity  
22 import limit and it may bind and cause prices in  
23 Indiana to be higher than prices outside of Indiana,  
24 but that's not really the right answer because the  
25 constraint is not between Indiana and its neighbor.

1           The constraint may be 200 miles to the west,  
2       so what you would like is for the resources that help  
3       relieve that constraint they should be the ones that  
4       are priced higher than the ones that aggravate the  
5       constraint and on the other side of it should be priced  
6       lower, so the boundaries should match the electrical  
7       interfaces rather than other factors that are not  
8       electrical in nature.

9           DR. SOTO: That's a problem of not following  
10       topology and is not a problem of imposing state  
11       boundaries on something. So having two zones will be  
12       okay then, the two zones reflect the topology even  
13       though they also follow states that we find.

14          DR. PATTON: Yes, in that case, if you've  
15       modeled both of them and you had a boundary of a  
16       zone where the constraint is and then a boundary of  
17       state boundary as long as you could potentially model  
18       things in a way that recognize that the capacity import  
19       limit across the state boundaries is really, really big,  
20       and the capacity import limit across the interface that  
21       happens to be binding is small so that you don't get  
22       the problem, I just described, but you would have to  
23       think about how to do that explicitly so that you don't  
24       end up with constraints that are not near the state  
25       borders causing prices to separate on a zone that's defined by

1 the state.

2 DR. NICHOLSON: Mr. Chiles.

3 MR. CHILES: I think one thing in this area and in  
4 particular when talking Zone 4, is when you look at  
5 what is combining inside a work group it is not very  
6 clearly defined.

7 This is a multi-interface path. We did it  
8 within a very discrete Element 345 transformer. We  
9 start setting up a boundary within, I think it creates some  
10 problems because there is just not a very clean way to  
11 do that.

12 We will look and say that that is a  
13 constraint which can be dispatched around potentially  
14 and that can be mitigated internally.

15 Personally looking at the two areas, the Zone  
16 4, the Zone 5 situation, we think that that is  
17 certainly one way to mitigate some of the issues we are  
18 seeing within the combination of those two areas makes  
19 sense because electrically we can dispatch around those  
20 constraints potentially and not create very small  
21 areas.

22 Also, we would say that having that area MISO  
23 has already identified in previous studies that there  
24 is an injection issue between those two areas.

25 MISO has already identified that even under loss

1 of single contingency there is not an issue with those  
2 areas.

3 Between those two areas based upon MISO's own  
4 work, breaking into a smaller area seems inconsistent  
5 with what MISO has done in previous reports.

6 DR. NICHOLSON: Thank you.

7 Mr. Hawkins?

8 MR. HAWKINS: Yeah. I just wanted to point out  
9 there is also the issue discussed in the previous session  
10 about the variance in the capacity import and export limits changing  
11 year-over-year, so just to keep on everyone's minds.

12 DR. NICHOLSON: Thank you.

13 Ms. Elliott?

14 MS. ELLIOTT: Thank you. With regards to  
15 MISO's straw proposal, they are on the right track, but  
16 I don't think it is a quick and easy fix.

17 The first is that we cannot just look at one  
18 issue because addressing one issue will ultimately lead  
19 to potential smaller or even bigger issues.

20 That may not have been anticipated or that we  
21 know currently exist it can even make it even greater.

22 What I would like to also follow up on is  
23 with regards to Mr. Chiles's comments.

24 While MISO has said that historically that there  
25 hasn't been constraints between Zones 4 and 5, but we've also



1 heard MISO say when they considered combining the zones  
2 was that there was virtually no export capability from  
3 Zone 5 to Zone 4.

4 I believe that had to do with the river.  
5 MISO would probably have to confirm and verify that.

6 The other point to that is what we also get back  
7 to is the regulatory framework of the states in MISO.

8 When you talk about combining Zones 4 and 5,  
9 we're talking about a retail choice state with an  
10 estate that has vertically integrated utilities.

11 The structures are very different when it  
12 comes to, for example, the vertically integrated state,  
13 the cost of the new generation is being borne by your  
14 ratepayers or customers or consumers through approved  
15 fixed rates.

16 What ultimately could happen is we could end  
17 up in a situation where there is a cross subsidization  
18 within one large zone if you combine two states that  
19 have different frameworks.

20 Thank you.

21 DR. NICHOLSON: I'd like to ask Mr.  
22 Hawkins about the political considerations and maybe  
23 you could wear your OMS hat too because we understand  
24 there is some underlying tension because there are a  
25 lot of factors to consider.

1           There is the political boundaries and the  
2           physical boundaries of the grid. We would like to hear  
3           some of your thoughts and what OMS's thoughts about  
4           your comfort with perhaps this particular stakeholder  
5           effort and your thoughts on state influencing the  
6           zonal boundaries.

7           MR. HAWKINS: Yes. I guess to caveat that, what  
8           I say is not for all of OMS or any particular member of OMS but  
9           there are OMS members that see the aligning of their  
10          zone as being critical to their jurisdiction over  
11          resource adequacy and just from a transparency point of  
12          view to seeing numbers supported for their state and  
13          having a firm understanding of how their state is  
14          operating within MISO is very important to them.

15          My home state of Wisconsin is in multiple  
16          zones with Minnesota and Michigan sharing our zones as  
17          well, so it isn't absolutely the only thing in the  
18          zones.

19          I just want to point out don't fall strictly  
20          to the state lines, but then you mentioned the  
21          stakeholder process that is going on for resource  
22          adequacy and kind of tagging on to what Tia had said  
23          about getting this right.

24          OMS has very major concerns over the pace at  
25          which these processes are moving forward.

1                   Renuka mentioned there's three things being  
2                   considered and they are being considered all at the  
3                   same time.

4                   There is a lot of stakeholder discussions  
5                   going on as I am sure you can imagine on all of these  
6                   things and they all have sub issues that are being  
7                   looked at.

8                   The timeline is currently for December tariff  
9                   language and this proposal that we are talking about is  
10                  weeks old with initial feedback from the stakeholders due  
11                  this Thursday and that leaves about a month of time  
12                  when Dr. Patton earlier said, "I love modeling," and I  
13                  almost threw my hands up and said, yes, because OMS has  
14                  been kind of calling for analysis and some modeling to  
15                  be done on some of these proposals so that we know what  
16                  we are working with and Commissioners can get an  
17                  understanding of what these changes can mean. That's all  
18                  I got on that.

19                  DR. NICHOLSON: Dr. Chatterjee?

20                  DR. CHATTERJEE: Thank you. I would like to  
21                  point out, as a result of some of the timing concerns we are  
22                  looking to provide stakeholders additional time.

23                  We actually announced last month that we are  
24                  looking at a 60 to 90 day additional time before we  
25                  submit tariff filing to allow for additional

1 stakeholder discussions.

2 We are still targeting the 2017-2018  
3 implementation timeline at this time for both the  
4 seasonal and locational issues.

5 The rush for time to get the  
6 filings is to provide certainty to everyone on the  
7 2017-2018 auction of the changes that are going to come  
8 and also the time it takes for us to kind of get  
9 everything right in between, once we get the filing in  
10 front of you and any changes that we may have to look at.

11 The Q filing is still on target for December,  
12 so I want to add that clarification.

13 Thank you.

14 DR. NICHOLSON: Now I would like to direct a  
15 question to Tia Elliott directly.

16 Can you talk about the zonal configuration  
17 from the perspective of IPP and how certain choices  
18 about zonal boundaries could affect investment  
19 retirement decisions if, at all?

20 MS. ELLIOTT: Thank you. Yes, that is also  
21 going to be up to the portfolio of the IPP and the  
22 type, for example, NRG within MISO.

23 We're largely concentrated with our assets  
24 in Louisiana and that is a vertically integrated state.

25 The way that it is important to this

1 discussion today and when we consider retirements this  
2 will take us back to an earlier discussion that we had  
3 with regards to recovery of opportunity costs, and  
4 along with that, the comment that I just made about if you  
5 combine two states that are regulatory framework is  
6 different and you get cross-subsidizing going on.

7           What can happen is your merchant generators,  
8 your IPPs, the independent power producers could make  
9 the decisions if they're not able to recover these  
10 costs to either go out of business or available to  
11 export.

12           That does not necessarily mean it's to our  
13 neighboring RTO to the East, PJM, as has been pointed  
14 out bilaterals can be done in a number of ways in  
15 areas.

16           It is important to consider these opportunity  
17 costs need to be able to remain first, recoverable, and,  
18 second, if that's not allowed and the decisions are made  
19 by merchants to go out of business or model their  
20 assets differently then what happens to that large  
21 zone?

22           If you have a large zone and you don't have  
23 the market signals to incite new generation to be  
24 build, we already know in a vertically integrated state  
25 those regulators are going to ensure resource adequacy.

1           Those vertically integrated utilities are  
2 going to ensure that they have the generation that they  
3 need so they are going to build, but then what's  
4 happening is those ratepayers that are paying for this  
5 new generation and that generation may be used to serve  
6 retail load and its state where it's retail choice  
7 because the power producers have decided to retire a  
8 lot of business, export their capacity or whatever the  
9 case may be.

10           DR. NICHOLSON: Thank you. I'd now like to  
11 ask a more general question about the factors to  
12 consider when defining zonal boundaries and of course this  
13 has to be kind of viewed holistically is when you are  
14 defining the market, it not only matters what the boundaries  
15 are but also modeled loads within zones and in and out of  
16 zones.

17           I would like for everyone who is interested  
18 in talking about some of the trade-offs involved  
19 because we've heard, where theoretically if you have  
20 a zone that is too large you can mask interzone  
21 constraints and you might have a false sense of  
22 reliability because you will actually mask  
23 deliverability issues within the zone.

24           Dr. Patton, I believe you have a  
25 recommendation about that in the 2014 State of the

1 Market for MISO.

2 Of course, on the other hand, you don't want  
3 them to be too large. On the other hand, if you have a  
4 zone that is too small you can inadvertently or mistakenly  
5 indicate a resource shortage that does not exist.

6 I would like to hear from the panelists some  
7 of the trade^offs that you think are important to consider  
8 when developing zones.

9 Ms. Rauch.

10 MS. RAUCH: I will start out and kind of  
11 speak to the criteria that led us to the tariff. I think  
12 there are multiple things that should be considered.

13 One is how we already spoke about the state's  
14 responsibilities and roles and our footprint. You have  
15 considerations in our tariff such as the boundaries of local  
16 balancing authorities just because on the recognition  
17 that those represent companies that have planned their  
18 system, made plans for 40 years or more and so drawing  
19 a line through the middle of one of those might cause  
20 certainly constraints that, one, they have the  
21 incentive to solve, and two, that they are actively  
22 managing through other forms such as the NERC  
23 transmission planning standards or things of that  
24 nature.

25 I think it is very crucial to look at this from a

1 holistic point of view from the resource adequacy point  
2 of view, but also from how our members plan the system  
3 as well.

4 Think those are the considerations and really  
5 it does follow the boundaries and our tariff for making  
6 sure that we look at the signals we send in the  
7 auction, the way that we plan the system and get the  
8 right messages to the right people, near and long term  
9 are the key things and zonal boundaries help us to do  
10 that effectively.

11 David Patton.

12 DR. PATTON: I don't think I would be too  
13 concerned that the zones that are too small create the  
14 illusion that a resource is needed because if by too  
15 small you mean you define a zone where there's not is  
16 not really a set of transmission constraints that  
17 separate that area, then I think if your capacity import limits  
18 are similarly large and reflect the fact that you do  
19 not have congestion into that area, then you should not  
20 get price separation that you wouldn't want.

21 I think the bigger problem is with small zones and  
22 this again can be modeled by a more sophisticated  
23 auction mechanism is that if you are dominant  
24 constraint is a constraint into an area and you take  
25 that area and you divide it into two, what you would



1 really like to represent is that there is a single  
2 limit into both areas, but now you have divided that  
3 area into two and you have a separate import limited  
4 into each of them and it's really hard to get the  
5 right outcome in that scenario.

6 But, of course, you can improve the  
7 sophistication on your model and have a constraint that  
8 only so much can come in from a certain -- two zones  
9 jointly, but that would require some additional modeling.

10 Something else to think about is worth  
11 thinking about is that if you don't have a congestion  
12 need into an area defining a small area could create or  
13 put more stress on your market power mitigation, if it  
14 isolates, it creates a pivotal supplier question. That  
15 doesn't need to be pivotal given the electrical characteristics  
16 of the network.

17 DR. NICHOLSON: Mr. Chiles.

18 MR. CHILES: I do appreciate Dr. Patton  
19 speaking to the pivotal supplier question. That is one of the  
20 things in looking at boundaries that's not being  
21 considered in the six criteria has been where we have  
22 look at physical boundaries.

23 We have looked at state boundaries and all of  
24 these things here, but at the end of the day, I think we  
25 have to keep in mind the market power issue and the

1 dominant supplier issue that needs to be part of that  
2 discussion in defining those boundaries.

3 We need to be very careful because if there's  
4 a way to mitigate that through an expansion of a  
5 boundary, then I think that's something we need to  
6 consider because that is a solution that they can be  
7 put in place that doesn't require a multiyear  
8 discussion to get to that point.

9 DR. NICHOLSON: You would think that the  
10 appropriate home for that discussion would be in the  
11 boundaries and the imports as opposed to market power  
12 mitigation.

13 MR. CHILES: I think boundaries is one method to  
14 address that and is one where we can consider, and we  
15 can let the folks from ISO speak to that, but in terms  
16 of the ability to implement that, I think that would one where  
17 that lets us deal with an issue that we know is in  
18 place now and not waiting until 2017-2018 or further  
19 down the line to mitigate that problem.

20 DR. NICHOLSON: Thank you.

21 Ms. Elliott?

22 MS. ELLIOTT: Thank you. With regard to  
23 the suggestion for consideration of pivotal supplier as  
24 part of the criteria, a consideration that would need to  
25 be made, that would have to be careful about, if that

1 were part of the criteria is the fact that ownership of the  
2 supply can change.

3 With that you don't want to create volatility  
4 based on changing the resource zones to frequently due to,  
5 for example, a change in ownership of assets.

6 DR. NICHOLSON: Thank you.

7 Dr. Patton.

8 DR. PATTON: Yeah. I need to clarify because I  
9 certainly was not proposing that that competitive  
10 factors be considered be part of the criteria which I  
11 think goes the interpretation.

12 What I was trying to say is the electrical  
13 characteristics should be the dominant criteria and the  
14 cost of departing from electrical characteristics and  
15 defining a smaller zone for some other reason where you  
16 really don't have congestion into that area as you  
17 could create competitive problems, but I know a lot of  
18 people over time in various markets have argued for not  
19 creating zones that need to be created because of  
20 market power concerns but having artificially enlarged  
21 zones as a means to mitigate market power is not a  
22 great idea that should be addressed directly by the  
23 market power mitigation measures.

24 DR. NICHOLSON: Does anyone have any further  
25 comments on that?

1                   Mr. Hawkins?

2                   MR. HAWKINS: Just one thing to add on that.  
3                   Defining zones based on electrical characteristics. Those also  
4                   change which could lead to volatility going forward as  
5                   well, so if the zones are defined based on constraints,  
6                   for example, and those constraints are changed then the  
7                   zones would change and it could be an unstable situation  
8                   going forward.

9                   DR. NICHOLSON: Dr. Chatterjee.

10                  DR. CHATTERJEE: I think this point has been made, but  
11                  maybe it needs to be reiterated.

12                  As I think about criteria for zonal  
13                  definitions, we also need to probably balance what we  
14                  are trying to achieve and one of the things that we all  
15                  would like is some certainty so people can build in and  
16                  plan and build a system out because these limits  
17                  matter. So I think with the need for having less volatility but  
18                  at the same time have volatility whether it is  
19                  needed, so the 345 transformer that we were talking  
20                  about, let's say that gets upgraded and it gets  
21                  eliminated then you don't want to have that.

22                  Having that volatility it is a needed  
23                  volatility and when the constraint goes away there is a  
24                  new constraint underneath.

25                  So that there is needed volatility and then

1       there is probably other volatility that may be less  
2       important to have, and not needed, so I think it is  
3       important to balance that as well as I think about  
4       these drivers they drive the volatility and the  
5       requirements.

6                 DR. NICHOLSON: Thank you. I think some of  
7       your comments earlier touched on my next question which  
8       are what are some of the downsides of changing zonal  
9       boundary?

10                Mr. Hawkins?

11                MR. HAWKINS: Just generally kind of going  
12       along the same thing is that people have been planning  
13       for decades into the future given the existing  
14       structure, so any change could have the potential to  
15       cause some harm.

16                But that's just a general observation.  
17       Without more analysis it is really hard to know what  
18       other downsides are out there.

19                DR. NICHOLSON: Anymore comments? Mr.  
20       Chiles?

21                MR. CHILES: I think that with respect to  
22       changing the boundaries we need to look at our previous  
23       market results that clearly show that the boundary  
24       definition as defined in that region produced a market  
25       result that was not expected the year before or the year

1 before that.

2 We need to be very careful that we are  
3 sending a right signal. I can guarantee you that for  
4 the 22,000 customers of Southwestern Electric  
5 Cooperative, the signal they received this latest  
6 market for them was not a signal that they could have  
7 addressed through any generation or transmission  
8 solution.

9 They are kind of beholding to without adding  
10 a load exposed in this market so they would want the  
11 solution that would address the issue that they see  
12 which is the pivotal supplier issue and that change in  
13 the boundary, if it mitigates that, that is a good  
14 thing for it because they are not an independent power  
15 producer, they are not making that decision.

16 Their load at the end of the last is  
17 customers and why you are paying that \$150 some a  
18 megawatt day.

19 They need to have way to address that and  
20 that price signal is great for building generation and  
21 I understand that, but someone is paying that bill for  
22 22,000 customers, they are the ones who are paying the  
23 price for that.

24 DR. NICHOLSON: Thank you. Dr. Patton,  
25 followed by Tia Elliott and then Kevin Vannoy.

1           DR. PATTON: I think, generally, if you are  
2     Making lots of changes to the zonal boundaries that it  
3     Creates uncertainty and risk that undermines the ability  
4     of the market to facilitate good decisions, investment  
5     and retirement decisions.

6           That is not the only thing in MISO that  
7     undermines good decision-making on what is best  
8     retirement but we will talk about that on the next  
9     panel.

10           But I think uncertainty is something that is  
11     not helpful. It is one of the reasons why I think market  
12     frameworks that define more zones rather than less at the  
13     outset to encompass either chronic patterns of congestion  
14     or areas where patterns of congestion are emerging that it  
15     is better to define those ahead of time so that  
16     participants can factor that into their long-term  
17     decision-making rather than having uncertainty in  
18     whether a zone is going to be defined when it's needed  
19     and we have some areas in MISO that are chronically  
20     constrained, they are defined as narrow constrained  
21     areas and yet they are not capacity zones, and they're  
22     literally--and two of them are in the South, that the NRG  
23     is familiar with.

24           They're literally the most congested areas  
25     in MISO, but they are not capacity zones.

1           Having a fuller set of zonal definitions that  
2 match electrical characteristics is beneficial because  
3 people can project forward how patterns of congestion  
4 may change.

5           I would rather the price difference between two  
6 zones go away, and effectively from a pricing standpoint  
7 it becomes one zone, than to have active changing of the  
8 RTOs zones every few years that it is much harder to  
9 predict.

10           DR. NICHOLSON: Thank you.

11           Ms. Elliott.

12           MS. ELLIOTT: Dr. Patton stole some of my  
13 thunder but he did it so much better than I could have  
14 just done.

15           Because one of the comments that I was going  
16 to make was that, with regards to combining the resource  
17 zone, what you can run into is you can end up diluting  
18 the market in terms of signals and transparency and what  
19 may be real versus artificial.

20           You also do not want that to then affect  
21 reliability because ultimately, I think, that is the top  
22 concern is reliability.

23           The next comment I wanted to make--and I'm not  
24 going to back into my cross-subsidization again, but I  
25 will answer any questions if you had any on that.



1           But just to go back to in MISO, we have seen  
2 these low prices, one, because we had oversupply which  
3 were seen at capacity decrease, but then to a majority  
4 of MISO, because we do have vertically integrated  
5 utilities, they are using fixed resource adequacy plans.  
6 So that means they are opting out of participating in the  
7 planning auction, or they are self-scheduling in, which  
8 means offering in at zero, so you are basically a price  
9 taker, you are willing to accept whatever the clearing  
10 price may be.

11           With those low prices, while it has been a  
12 benefit to MISO, it has also been a benefit to Zone 4.  
13 Then we look at what has recently happened in the most  
14 recent auction, but as Dr. Patton discussed earlier  
15 today, the clearing price that we saw for the 2015-2016  
16 resource auction, that is two thirds of the cost for a  
17 new generation.

18           I say it is still a heck of a deal versus  
19 building new generation.

20           But my point really is, the reason we have  
21 These low costs is because this is just excess capacity  
22 that has been offered in by vertically integrated utilities  
23 and so it is so low in Illinois in Zone 4, and others  
24 and MISO have benefited from that, and now we have got  
25 capacity and the margin is tightening up. So we are

1 going to see an impact.

2 DR. HYDE: Thank you.

3 Mr. Vannoy?

4 MR. VANNOY: One of the things that MISO is  
5 addressing through our proposals is the locational  
6 issue, and as far as uncertainty goes between zonal  
7 boundaries right now we don't have hedges available for  
8 price differences between the zones for existing  
9 resources and transmission service.

10 We hope to address that, but to the extent that  
11 those boundaries change and participants are unhedged  
12 to price differences between those zones, that would  
13 create uncertainty in making their decisions.

14 DR. NICHOLSON: Thank you.

15 Mr. Hawkins.

16 MR. HAWKINS: I just wanted to jump in, kind of  
17 tag on along with what Tia said there, and just in  
18 general the word price signal has been used a little  
19 bit too much for liking here today given the vertically  
20 integrated nature of the vast majority of the MISO  
21 footprint. And even MISO is aware of that and  
22 they think of it now more as a megawatt signal being  
23 sent in the market, at first the price signal, so I  
24 just wanted to have that put out there.

25 DR. NICHOLSON: Unless we have any more

1       comments I think we can close up this session on zonal  
2       boundaries.

3                Would any one of our panelists would like to  
4       Make any concluding remarks?

5                Thank you very much for your time.  And now I  
6       hand it back to Laurel Hyde.

7                DR. HYDE:  I think we all deserve a  
8       seventh-inning stretch here, so we are going to break for  
9       goodness I've been told that clock is not very right,  
10      but let's assume that says 35 minutes after and come back  
11      at 15 minutes till.  Does that work?

12                Okay.  Thank you very much.

13                (After a 15 minute recess, on resuming.)

14                SESSION 4:  WRAP UP

15                DR. HYDE:  This is the last panel of the day.  
16      We are doing pretty well on our schedule, but trying  
17      keep to it.  We should get going, and I would like to  
18      introduce the members of our panel.

19                We have Mr. Bladen from MISO.

20                Dr. Chatterjee from MISO.

21                Dr. Patton from the IMM.

22                Mr. Henry Jones of Dynegy.

23                Mr. Robert Weishaar on behalf of Illinois  
24      Industrial Energy Consumers.

25                And Mr. Tyson Slocum of Public Citizen.

1           I would like to remind everyone as we start  
2 this panel-- which everybody is probably thinking, now I  
3 get to say what I want to say more.

4           As a reminder we are not going to be  
5 addressing manipulation with respect to the past  
6 auction, that is in the investigative docket, so we will  
7 not be discussing that here.

8           Anyway, to get started on our questioning.  
9 During the course of the day we have addressed  
10 mitigation, local requirements for local resource zones  
11 and zonal boundaries.

12           The purpose of this discussion was to help  
13 staff understand better how the auction is being  
14 conducted to consider whether changes are necessary to  
15 ensure that outcomes are just and reasonable, and  
16 appreciate how different possible changes would play  
17 out.

18           Our questions and the discussion have been  
19 pretty wide-ranging.

20           In this panel we want to reflect on what we  
21 have talked about today and upon what may also not have  
22 been discussed, but that is relevant for any changes to  
23 the auction.

24           First, we would like to ask the independent  
25 monitor and MISO which of the changes that were

1 discussed today could be accomplished and implemented  
2 prior to the next planning resource auction for  
3 planning year 2016-2017 which is scheduled for April  
4 2016.

5 At this time I want to remind you that we are  
6 not asking you which ones you want. We are trying to  
7 talk about when things could get done.

8 And that--we are trying to discern what may be  
9 doable if needed before the next auction. And then after  
10 we hear on that, other panelists may react to the extent  
11 that they foresee different timelines.

12 First, to make sure that we kind of hit all  
13 of our bases, we will do this one by one.

14 How quickly could different opportunities in  
15 the measurement of opportunity cost, for example use  
16 of bilateral sales or longer-term price signals, be  
17 accomplished?

18 DR. PATTON: I assume that is a question for  
19 me. I think--that is a difficult one to answer because  
20 we I think if we can find a good source of data that  
21 is an accurate indicator of what capacities were going  
22 into the next planning year, then I don't see any timing  
23 problem with using it, and I think the tariff allows  
24 that data to be used, and in fact the tariff calls for  
25 the most accurate unit data to be used that we can find.

1 So we wouldn't need a tariff change as far as I can tell.

2 If I remember right our posting requirement  
3 is simply 30 days prior to the auction so we have a fair  
4 amount of time, although we typically will post well in  
5 advance of that to allow for stakeholder feedback.

6 I don't think timing is an issue with that  
7 one. It is more the availability of data, it's sort  
8 of can we do it at all.

9 DR. HYDE: Does anyone else want to address  
10 timing on that one?

11 How about some of the revised measures of  
12 opportunity costs where opportunities are somehow  
13 limited by available transmission or demand for such  
14 alternatives?

15 Again doable--or timetable to do so. Not  
16 whether you would like to.

17 DR. PATTON: You must be assuming I wouldn't  
18 like to do that.

19 DR. HYDE: I've heard.

20 DR. PATTON: Then you have been listening.  
21 Yes, I think, certainly that is just a calculation  
22 issue as far as I can tell, so timing-wise calculations  
23 are fast and we have smart people that do them.

24 DR. HYDE: How about alternative calculations  
25 of initial reference levels such as using avoidable

1 costs or net CONE? The same qualification applies.

2 DR. PATTON: When do I get to say things I  
3 want to say? Net CONE is certainly something we  
4 produce every year as an input to the capacity market  
5 already so anything involving net CONE is already  
6 something that we produce.

7 I think we produced that first in January, so  
8 no timing issue of the use of that information.

9 Going-forward costs, I think--no one is going  
10 to vary a lot on how many units we are talking about,  
11 so under the current--one of the values of the current  
12 structure is that we establish an initial reference  
13 level that we think is reasonable and then people can  
14 come in over if they have going-forward costs that  
15 exceed that, and because that reference level is not  
16 close to zero we get a small number of units coming in,  
17 so it is a manageable amount of work.

18 We touched this morning about a number of  
19 alternatives that would either eliminate opportunity  
20 costs altogether or start with a zero reference, and  
21 based most of the reference levels on going-forward  
22 costs which would involve potentially hundreds of units  
23 giving us cost data. I think to do a reasonable job  
24 validating all of that that would probably not be  
25 possible if we are talking about more than 40 units, and

1 MISO has got, I don't know, 1,200 units or something?

2 DR. HYDE: The actual change to a zero  
3 reference level, that seems pretty easy, but it's all of  
4 those facility specific ones that would--

5 DR. PATTON: Yes, so the feasibility of getting  
6 it done prior to the auction is dependent on two  
7 things. The number of units, then how willing FERC is  
8 to let us just make simplifying assumptions that  
9 disregard people's real physical issues because we want  
10 to have time to look into them.

11 DR. HYDE: What about developing different  
12 mitigation, tighter mitigation for pivotal suppliers or  
13 perhaps zones with pivotal suppliers?

14 DR. PATTON: This is an area again where I'm  
15 just clarifying the question.

16 In a technical conference there is the notion  
17 of using a different reference level for pivotal  
18 suppliers, if that is not what you're talking about,  
19 I do know how to do that, so I will answer the  
20 question the way we normally make the mitigation  
21 tighter is to tighten the conduct and impact thresholds  
22 that would apply to either chronically constrained  
23 areas or pivotal suppliers in those areas, that would  
24 be very fast.

25 DR. HYDE: This question of getting a filing



1 through the stakeholders and then the Commission.

2 DR. PATTON: I sort of overlooked that  
3 process. Yes, it would require you to do your legal ante of  
4 whatever, five months of processing.

5 DR. HYDE: We have already talked a bit about  
6 changes to local clearing requirements timetable in the  
7 last panel and local zone boundaries as well, but if  
8 you have further thoughts on that.

9 No. Now given this background what would  
10 you, the panelists, recommend as possible changes to  
11 the auction?

12 You can include in your recommendation any of  
13 the ideas we have discussed today or other approaches  
14 and that approach can be doing nothing if that is what  
15 you're recommending.

16 As you reply, please remember that we do wish  
17 to hear from all the panelists, so I ask you to keep  
18 your comments short. So if somebody gets the mic and  
19 doesn't give it up, we have got a remote switch. No.

20 Let's start from someone we haven't heard  
21 today. How about Mr. Weishaar?

22 MR. WEISHAAR: Thank you and thank you for  
23 the opportunity. Illinois Industrial Energy Consumers  
24 as part of its complaint in EL15-82 made specific  
25 tariff change recommendations.

1                   Those were at IIEC Exhibit Numbers 1 and 3  
2                   that showed a redline version of the current tariff to  
3                   focus on two issues.

4                   One was the calculation of lost opportunity  
5                   cost and try to bring the MISO tariff provisions in  
6                   line with what the Commission has adopted as a standard  
7                   applicable to opportunity cost, which is they must be  
8                   legitimate and verifiable.

9                   In our near-term solution--and again, we  
10                  would really like to see a change in advance of the  
11                  2016 PRA, but our recommendation is that lost  
12                  opportunity costs should be set to zero for purposes of  
13                  that auction, but certainly without prejudice to MISO  
14                  coming in and making very specific recommendations  
15                  about how to apply the lost opportunity cost provisions  
16                  going forward.

17                  We also made changes relative to the  
18                  reflection of counter-flows as part of the calculation  
19                  of the local clearing requirement.

20                  Those are in a different provision of the  
21                  tariff, but those were the two issues on which we  
22                  focused in the complaint, and we coupled the complaint  
23                  with specific tariff change recommendations.

24                  Stepping back, I think what we have learned  
25                  today is that there is a high level of imprecision in

1 the existing tariff provisions and that some change  
2 needs to be made on both of those issues.

3 On the lost opportunity cost issue I think  
4 the Commission has really two options.

5 One is to zero it out so that the problems  
6 that surfaced before do not recur, and again without  
7 prejudice to fixing the issue over a longer-term  
8 period.

9 The other option is for the Commission to get  
10 very prescriptive about how the lost opportunity cost  
11 provisions of the tariff should be applied, so to take  
12 into account such things as whether there is excess  
13 capacity within the zone, what is the available  
14 transfer capacity, what are realistic options for  
15 selling into neighboring regions, take into account a  
16 lot of the specific factors and actual facts that we  
17 discuss today.

18 That is another option, and again, you can do  
19 that through a compliance filing type process in time  
20 for the 2016 PRA, but our view is that both of those  
21 issues need to be addressed in the next six to eight  
22 months.

23 DR. HYDE: Thank you.

24 Mr. Slocum?

25 MR. SLOCUM: Thank you very much.

1                   So we had a lot of information brought by a  
2 very diverse array of witnesses, and it is clear that  
3 we still have a number of significant disputed facts  
4 that need resolution. And I understand that this  
5 technical conference is one attempt by FERC to respond  
6 in part to a collection of a Section 206 complaints  
7 alleging a number of different problems with the auction,  
8 with conduct of particular parties, and with the  
9 operation of MISO itself, and that the technical  
10 conference structure does not appear to be resolving  
11 these disputes effectively.

12                   This morning on the first panel, I had a  
13 number of folks from MISO and Dr. Patton say I didn't  
14 have that table in front of me. I don't have that  
15 data. I didn't bring those numbers. I don't have the  
16 specific numbers. I don't have a number in response to  
17 repeated questions from FERC staff on subjects that  
18 were given to us ahead of time.

19                   An offer was made to send these in as part of  
20 the record after this proceeding, but what this shows  
21 is that this is not an adequate structure to resolve  
22 these disputed claims.

23                   The only adequate structure is an evidentiary  
24 hearing which multiple parties called for, and that has  
25 to be part of the resolution in order for us to

1 determine what--the most effective steps going forward  
2 to address the problems with the MISO capacity auction.

3 DR. HYDE: Do you have any specifics on what  
4 you would like to see beyond the evidentiary hearing?

5 MR. SLOCUM: Absolutely. I think Robert  
6 McCullough made a number of important points about the  
7 role of data in establishing things like the reference  
8 price and other key factors that I think that the MISO  
9 capacity auction structures relied too much, as Robert  
10 McCullough said, on speculation and theory and not  
11 enough on what the actual data is telling us.

12 So FERC Staff needs to focus on beefing up  
13 the data to ensure that the MISO capacity auction  
14 structure going forward is based upon what is actually  
15 going on in the market and not a theoretical guess as  
16 to how actors are going to respond in these situations.

17 DR. HYDE: Mr. Jones, would you like to  
18 address the question?

19 MR. JONES: Sure, and thanks again for giving  
20 us the opportunity to participate. We appreciate it.

21 I would recommend that we use caution in  
22 any kind of a piecemeal approach because there is often  
23 unintended consequences and things that we need to  
24 carefully consider.

25 I think there are three primary issues around

1 the auction--construction of the market design that are  
2 really important to attempt to discuss and resolve.

3 One is the vertical demand curve. The other  
4 is a proposed minimum offer price rule, and the third is  
5 a longer-term planning horizon.

6 If I could expand on that for just a moment.  
7 The vertical demand curve construct suggests that any  
8 megawatts over the planning reserve margin receives  
9 zero capacity dollars. And in a non-regulated state,  
10 the way we recover our cost is through energy revenues  
11 and capacity revenues.

12 We are surrounded--outside of Zone 4 all the  
13 other states are regulated utilities that are able to  
14 recover their capacity costs for 100% of their volume  
15 through a different mechanism.

16 By being effectively a price taker in the  
17 auction, there is potential for some distortion of the  
18 results. So if you accept for a moment that all the  
19 other zones are dominated by regulated utilities and  
20 that they are price takers in the form of FRAP or  
21 self-scheduling, with the vertical demand curve, any  
22 capacity that is not going to clear is going to be an  
23 IPP in Zone 4.

24 That's not a sustainable model in terms of a  
25 capital investment in existing assets or attracting

1 investment for a new build.

2 The regulated states have the latitude  
3 through their processes to press for new build and the  
4 concern we have is that over a very short period of  
5 time as assets will retire or become less reliable in  
6 Southern Illinois and they will be replaced in the  
7 surrounding states and regulated rate base.

8 The southern part of Illinois will wake up  
9 with less capacity and an aging coal and nuclear fleet  
10 that is being replaced in other states where jobs and a  
11 tax base are being shifted out.

12 The minimum offer price rule, I think, is  
13 part and parcel to self-scheduling comments and the  
14 planning horizon. It is truly nonsensical to imagine  
15 that people can plan with an auction that occurs eight  
16 weeks before the planning year.

17 We need more lead time if we are going to be  
18 thoughtful about this and provide incentive for capital  
19 expenditure and/or a new build that needs to be a  
20 longer runway for that.

21 Thank you.

22 DR. HYDE: Let's keep going with everybody's  
23 first shot person and then we can circle back down on  
24 others.

25 I wanted to hear first thoughts from everyone

1 first.

2 Dr. Patton?

3 DR. PATTON: It probably will not surprise  
4 you that the number one issue that should be resolved  
5 is representing demand in this market in a manner that  
6 has some connection to reliability.

7 So in the same way that we have operating  
8 reserve demand curves that reflect the value of  
9 reserves to the system when MISO as the central buyer  
10 for operating reserves procures on the basis of that,  
11 it is the central buyer for capacity in the PRA.

12 The PRA only exists to procure capacity that  
13 we need to maintain reliability.

14 If you divorce the representation of demand  
15 from reliability you can't get a market outcome that  
16 is going to produce just and reasonable prices.

17 The reason I say it's divorced from  
18 reliability. If you ask yourself the last megawatt I  
19 need to satisfy the minimum requirement, what's that  
20 worth?

21 What it is worth to MISO is the cost of  
22 building a new unit, so it is worth a ton.

23 You go one megawatt further and now you are 1  
24 MW or 2 MW and now you are 1 MW surplus, what's that  
25 megawatt worth?



1                   Meg what work is worth nothing, but if you  
2                   did any sort of loss of load expectation any  
3                   conventional reliability analysis it would tell you  
4                   those 2 MW are delivering almost the same reliability  
5                   value and yet a representation of demands says one is  
6                   really valuable and one is not valuable at all that  
7                   sets up a market regime where the market is priced at  
8                   zero virtually all the time.

9                   That would be the number one thing we would  
10                  have to fix.

11                  What makes these discussions surreal and I  
12                  have them a lot with people as people get excited about  
13                  the zone definitions or whatever it is, so many of  
14                  these things boil down to, if we fix this thing  
15                  we will improve the price, but if the underlying  
16                  framework of the market prevents us from producing  
17                  reasonable prices from the outset then how excited can  
18                  we get about capacity counter-flow from the capacity  
19                  import limit, for example.

20                  The only reason to do that is to get a more  
21                  reasonable price insight. It makes the discussions  
22                  really strange, so I would say that that's definitely  
23                  number one.

24                  Number one, and it is a relatively urgent need  
25                  because what you are seeing if we step back a little

1 bit is sort of a perfect storm, we have capacity going  
2 away because of environmental regulations, then we have  
3 a market that cannot produce reasonable prices in MISO  
4 and by the way I don't think a reasonable price is  
5 anything to do with whether people are regulated or not  
6 regulated which seems to be the primary argument.

7 We can't produce a reasonable price but we  
8 have a neighbor who does produce a reasonable price and  
9 so we have created an incentive for everyone to flow  
10 west at the same time that other folks are retiring.

11 Thirdly, the third aspect of the perfect  
12 storm is our neighbor to the left instead of deciding  
13 that it's okay for us to simply provide energy to them  
14 on a firm basis, they've decided that we need  
15 pseudo-retiree resources that are flowing west creating  
16 effectively a Swiss cheese affect where they are taking  
17 dispatch control over units that are critical to  
18 control constraints that they don't see in their model.

19 And that demonstrably harms reliability, so  
20 number two, beyond the slope demand curve is to  
21 rationalize how capacity is delivered in realtime, do  
22 away with the silliness of the pseudo-tie requirement  
23 and simply have a set of provisions where MISO  
24 guarantees delivery of the energy that they have bought  
25 so they have what they need without having to

1 effectively reconfigure the RTOs in ways that are  
2 really hard to undo from an efficiency standpoint.

3           And then thirdly, on the smaller level, I  
4 would say that we definitely could implement the  
5 capacity import limit adjustment relatively quickly  
6 because it's a parameter setting aside the November 1st  
7 deadline which you would have to grant a waiver for,  
8 but it's a discreet parameter that once we know what's  
9 being exported and we know what the capacity import  
10 limit is then it is simple arithmetic to adjust it  
11 prior to running the auction.

12           DR. HYDE: You addressed how quickly MISO  
13 could implement the capacity import limit change  
14 vertical demand curve and pseudo-tied -- well, not so  
15 much.

16           DR. PATTON: Was that part of it? I thought  
17 it was just what changes are needed.

18           DR. HYDE: I like hearing you addressing that  
19 so it seems like you should.

20           DR. PATTON: I went fast because maybe the  
21 question was what we would change in the MISO tariff  
22 and pseudo-tie requirement is a change that would be  
23 required to the PJM tariff.

24           But let's do it anyway.

25           As far as the timing, I think the time of

1 changing the pseudo-tie requirement would largely be  
2 based on MISO and PJM putting a set of operating  
3 procedures down that would be acceptable to both  
4 parties as far as what the delivery obligation is, and  
5 I think it would greatly benefit PJM because if MISO  
6 is delivering energy on a firm basis they'll dispatch  
7 around constraints, whereas a pseudo-tied resource, if  
8 that is a constraint, it may have to be curtailed so  
9 they get more reliable energy, but ultimately it's  
10 going to can take time.

11 But my experiences is a guide to get PJM and  
12 MISO to agree on something takes a long time.

13 That will take a fair amount of time.

14 The slope demand curve from the perspective  
15 of technical implementation that is probably not the  
16 constraining factor, that would take some work, but my  
17 experience elsewhere is a guide near your experience  
18 the parameters of a slope demand curve are heavily  
19 litigated, so you would have to resolve disagreements  
20 about exactly what slope should be and so forth, but  
21 the fact that we've done it now in New York, PJM and New  
22 England, we done so many places, there is a whole lot  
23 of precedent that would help make that go faster than  
24 maybe it did a few years ago.

25 DR. HYDE: Dr. Chatterjee?

1 DR. CHATTERJEE: Thank you. With regards  
2 to the specific changes that MISO is planning for the  
3 upcoming 2016-2017 auction, there's a couple of where  
4 one is associated with how we treat retirements and  
5 suspensions that we are walking through our stakeholder  
6 process and we to bring forward before the Commission  
7 in time for next year's auction.

8 A second one is associated with how we  
9 allocate zonal reliability benefits but I won't get  
10 into the detail of that. But those are the two that we  
11 are working on.

12 On a broader perspective in terms of changes  
13 to the auction, the current set of auction rules have  
14 identified funds that are implemented arrived through a  
15 robust stakeholder process that MISO had in the past.

16 In that same tone, I would ask that we  
17 continue to work with our stakeholders to bring changes  
18 and improvements to our auction in front of the  
19 Commission in the future, too.

20 We have currently have a schedule as we  
21 discussed earlier in terms of changes that we are  
22 thinking about and things that we want to bring  
23 forward.

24 Specifically with regard to Illinois, we also  
25 talked about it, we are on our 19th conference that we

1 will be attending to discuss the specific issues within  
2 that state and how we will help to resolve those  
3 issues.

4 We have a plan that we are working through  
5 and if there are additional outcomes, that the  
6 Commission would like to see so we are open to looking  
7 at the guidance on what outcomes are we trying to  
8 achieve.

9 We can have improvement of other things. We  
10 can implement many things but what problem are we  
11 trying to solve is an important question to ask  
12 ourselves.

13 DR. HYDE: Thank you, Mr. Bladen? You can go  
14 beyond to the response you wanted to provide her earlier.

15 MR. BLADEN: I appreciate that and thank you  
16 very much, and again, thank you for having us here today.

17 I won't repeat what we've already heard as  
18 there has been quite a number of good things said.

19 I will answer your question though that you  
20 posed at the outset of this colloquy in the inverse and  
21 the things that we would hope you wouldn't do which is  
22 to order changes that effectively require anybody to  
23 capture an opportunity in PJM only by export or the  
24 equivalent value of the opportunity in PJM, only  
25 through exporting to PJM if that's the result.

1                   I should say I want to disagree on the facts  
2                   that someone suggested that that's not happening  
3                   already of thousands of megawatts of a resource that  
4                   was in MISO footprint are selling their capacity to PJM  
5                   today.

6                   Thousands of megawatts are offered into a  
7                   base residual auction. Many megawatts are offered into  
8                   incremental auctions.

9                   As we heard today from Mr. Bresler thousands  
10                  of megawatts are sold as replacement capacity, so it is  
11                  happening and to suggest it is not is ignoring the  
12                  facts.

13                  To the extent that we end up with a process  
14                  whereby the only way to capture that equivalent  
15                  opportunity value is by actually exporting MISO will  
16                  end up with a less competitive environment, not a more  
17                  competitive one.

18                  DR. HYDE: I see some cards up.

19                  Mr. Jones.

20                  MR. JONES: Thank you. David mentioned that  
21                  the demand curve is a heavy lift and I believe it is a  
22                  heavy lift.

23                  The regulated states are probably not  
24                  particularly excited about that, but I think it's a  
25                  fight worth having then it is a lift worthy trying to

1 do because without it generation in Southern Illinois  
2 in Zone 4 is unsustainable.

3 Many of the units cannot cover their costs  
4 because those are the units that are on the margin and  
5 to the extent there is any surplus over the planning  
6 reserve margin they receive no money whatsoever.

7 The last auction brought approximately 50% of  
8 our capacity that did not clear and we were unable to sell it.

9 It is a heavy lift, but to me it is very  
10 important because with no capacity revenue a generation  
11 will leave the system in the form of retirement or  
12 decrease in CapEx at the very time that the reserve  
13 margins are tightening in the system and that's the  
14 last thing we should want for a generation capacity to  
15 be retired because there is no effective market design.

16 Thank you.

17 DR. HYDE: Mr. Slocum.

18 MR. SLOCUM: Yes. We are talking about a  
19 lot of reforms that MISO is going to develop as they  
20 just described in a robust stakeholder process.

21 So it is very important that we understand  
22 whether or not this stakeholder process is, in fact,  
23 robust because FERC relies very heavily on the fact  
24 that these private organizations have a robust  
25 stakeholder process that is assisting in this.



1           This is highly relevant to the question --

2           DR. HYDE: Yes, but Mr. Slocum, I know you  
3 submitted comments talking about manipulation of the  
4 stakeholder process?

5           MR. SLOCUM: I am not going --

6           DR. HYDE: Do not go there.

7           MR. SLOCUM: I will not be discussing the  
8 manipulation of the stakeholder process.

9           Please let me finish. Thank you.

10          What I am talking about is the need for FERC  
11 to better evaluate the existing stakeholder process to,  
12 in fact, determine whether or not it is robust because  
13 our experience with it is that it is heavily dominated  
14 by a few interests and that the meetings are not  
15 reflective of broader stakeholders and so if you're  
16 asking MISO to reevaluate aspects of the auction  
17 process under its existing stakeholder process, and I  
18 understand that they have just hired an outside  
19 consultant to reform aspects of that, but we have not  
20 seen those reforms translate into more effective  
21 representation for all stakeholders affected by these  
22 policies.

23          One great example is that I have been  
24 attending these meetings by phone and I don't know if  
25 any FERC staff here attends stakeholder meetings by

1 phone. It is an inadequate method to participate in the  
2 meetings, to get information about who is speaking,  
3 there is no transcript made available of these meetings  
4 at any time, and so as a result, there is very little  
5 public record about the details of what is driving  
6 decisions within this process.

7 It is essential that as part of any capacity  
8 market reform that you look at stakeholder process  
9 reform because you are entrusting a private  
10 organization to represent all stakeholders that are  
11 affected by policy and that private organization is not  
12 doing an effective job at representing all stakeholders  
13 particularly my members who are going to be paying  
14 significantly more in their utility bills as a result  
15 of the actions of this private organization.

16 Thank you.

17 DR. HYDE: Thank you.

18 Mr. Weishaar.

19 MR. WEISHAAR: Yes, and to quote the late  
20 Yogi Berra, "It is like deja vu all over again."

21 I recall back during 2010, 2011, 2012, we  
22 went through a pretty lengthy stakeholder process at  
23 MISO. I went through fairly extensive litigation here  
24 before the Commission regarding the very issues that  
25 Mr. Jones and Mr. Patton are discussing now.

1           The Commission called those balls and strikes  
2           in ER 11-4081. Obviously, there are requests for a  
3           rehearing pending what the Commission will do with  
4           those requests and what it chooses to do.

5           We filed a complaint in EL 15-82 that  
6           focused on two very discrete and specific issues.

7           I think we have demonstrated not only in the  
8           affidavits moved as part of those complaints and  
9           answer, but also today that those two specific  
10          provisions of the MISO tariff are no longer just and  
11          reasonable and that some correction needs to be made.

12          Just kind of putting aside the bigger picture  
13          issues we can have those debates and we can continue in  
14          that litigation. We can do what we need to do with  
15          respect to the bigger picture issues, but there are two  
16          discrete issues that need to be fixed and they need to  
17          be fixed prior to the 2016 PRA.

18          We've made very specific proposals for how  
19          to do that. We are open to suggestions and further  
20          discussion on alternatives, but we urge the Commission  
21          to keep the focus on the right areas.

22                 DR. HYDE: Thank you.

23                 Dr. Patton.

24                 DR. PATTON: I agree. It is like deja vu all  
25          over again. We were sitting in New England seven years

1 ago or ten years ago fighting about LikeCap which shows  
2 a slope demand curve based capacity market that nobody  
3 wanted or that some people wanted.

4 We implemented a vertical demand curve with a  
5 price floor that limped along for a number of years and  
6 then at some point FERC said on point pretty recently,  
7 "You guys need a slope demand curve and order it to be  
8 so, and so I think the fact that we have had this  
9 discussion before does not mean that learning can't  
10 occur and we can't recognize when something is not  
11 working.

12 One thing that is important to recognize is,  
13 as posted in New England where there are large equity  
14 considerations of going to a slope demand curve because  
15 you have large buyers and large sellers so changing the  
16 wholesale price has a big impact from a cost  
17 perspective.

18 In a regulated state the opposite is true.  
19 Most of the requirements are self-supplied so setting  
20 an efficient wholesale price really doesn't have a  
21 deleterious effect on consumers the way it does in the  
22 areas where we have actually implemented.

23 One last thing. Just a comment on the  
24 stakeholder process and the fact that MISO is working  
25 through the stakeholder process.

1           I think it is important to recognize that  
2           there two discussions that happen in stakeholder processes.

3           One is a discussion of should we do something  
4           or should we not, and for any change that involves big,  
5           large economic value the stakeholder process can bog  
6           down in and go nowhere and that is definitely the case  
7           with the sloped demand curve.

8           I do not want you to get the impression that  
9           the stakeholders were working through sort of a slope  
10          demand curve proposal.

11          There is a second set of discussions that I  
12          think are very effective in the stakeholder processes  
13          and that is once we have decided to do something how  
14          should we do it and then there is a lot of debates and  
15          it gets filed and the Commissions is able to articulate  
16          or to arbitrate disputes.

17          The way--in a lot of cases where you are  
18          stuck to get from one place to the other is for FERC  
19          to issue a mandate and say, "You need to come back with  
20          something that is reasonable," and that reorients the  
21          stakeholder discussion, and the folks who were  
22          obstructionists become part of the process of  
23          discussing how to implement something that would be  
24          efficient and produce reasonable outcomes.

25          I think it is important to recognize that

1 while there is a stakeholder process, a plan that is  
2 being worked through stakeholders, the most important  
3 issues are not part of those discussions.

4 DR. HYDE: Any replies to any of that or  
5 are we worn out for the day?

6 Do we have any questions from any of my  
7 colleagues here, anything else that you would like to  
8 cover if we have not perhaps touched on?

9 In that case, this concludes our Technical  
10 Conference. I want to thank everyone here and online  
11 for attending.

12 I would especially like to thank all of the  
13 panelists and my colleagues for making this such an  
14 informative conference that will help the Commission in  
15 its decision-making.

16 Transcripts will be available for a fee from  
17 Ace-Federal Reporters. If you want to provide comments  
18 regarding the matters discussed today at the technical  
19 conference, please do so in these dockets on or before  
20 November 4 and do recognize that we have already read  
21 what you have submitted to us.

22 So new thoughts are appreciated as opposed to  
23 these same thoughts again.

24 Anyway, thank you all so much for coming and  
25 we are adjourned.