

1 BEFORE THE
2 FEDERAL ENERGY REGULATORY COMMISSION

3 - - - - - X

4 In the matter of :

5 SUPPLY CHAIN RISK MANAGEMENT : RM15-14-000

6 - - - - - -X

7

8 Commission Meeting Room
9 Federal Energy Regulatory Commission
10 888 First Street, Northeast
11 Washington, D.C. 20426
12 Thursday, January 28, 2016

13

14 The technical conference in the above-entitled
15 matter was convened at 11:00 a.m., pursuant to Commission
16 notice and held before:

17

18 COMMISSIONER CHERYL LaFLEUR
19 COMMISSIONER COLETTE HONORABLE
20 COMMISSIONER TONY CLARK

21

22

23

24

25

1 FERC STAFF:
2 DANIEL PHILLIPS
3 RHONDA DUNFEE
4 DAVID DeFALAISE
5 MICHAEL BARDEE
6 ROGER MORIE
7 JONATHAN FIRST
8 KEVIN RYAN
9 PATRICIA EKE

10

11

12 PRESENTERS:

13 PANEL 1:

14 NADYA BARTOL, UTC

15 JON BOYENS, NIST

16 JOHN GALLOWAY, ISO NE

17 JOHN GOODE, MISO

18 BARRY LAWSON, NRECA

19 HELEN NALLEY, SOUTHERN CO.

20 JACOB OLCOTT, BITSIGHT

21 MARCUS SACHS, NERC

22

23

24

25

1 PRESENTERS:

2 PANEL 2:

3 MICHAEL KUBERSKI, PHI

4 JONATHAN APPELBAUM, UIC

5 NICK WEBER, WECC

6 ART CONKLIN, U OF H

7 EDNA CONWAY, PEPCO

8 BRYAN OWEN, OSISOFT

9 ALBERTO RUOCCO, AEP

10 DOUG THOMAS, IESO

11

12 PANEL 3:

13 DOUGLAS BAUDER, SOCAL EDISON

14 ANDREW BOCHMAN, DOE

15 DAVID WHITEHEAD, SEL

16 ANDREW GINTER, WATERFALL

17 STEVE GRIFFITH, NEMA

18 MARIA JENKS, KCP&L

19 ROBERT McCLANAHAN, AECC

20 THOMAS O'BRIEN, PJM

21

22

23 Court Reporter: Alexandria Kaan, Ace-Federal Reporters

24

25

P R O C E E D I N G S

2 (11:02 a.m.)

3 MR. BARDEE: Good morning everyone. Welcome to
4 our technical conference today. I'm Mike Bardee, I'm the
5 director of the Office of Electric Reliability and I'll be
6 moderating the conference today. I'd like to thank all of
7 you for coming today, especially given the weather the
8 city's been through the past few days. And also apologize
9 to you for the delay in getting the conference started
10 today, but some things we just weren't able to control and
11 that was one of them.

12 Let me turn very briefly to the subject matter
13 before I turn it over to others here. As I think all of
14 you know, we issued a proposed rulemaking in July of last
15 year. And in that proposal we proposed to direct NERC to
16 develop a reliability standard to address supply chain risk
17 management. And we asked questions about what should be
18 the features of that kind of a standard and what
19 requirements should be in it, and also about what kind of a
20 timeframe should it take to develop that kind of a
21 standard.

22 So with that as a background, let me just go
23 over a little bit of a housekeeping for today. First of
24 all, I would remind all of the speakers, including the
25 people at the horseshoe here, that this is a public meeting

1 and it's being webcast as I understand and transcribed. So
2 I would just ask everyone to be mindful of your remarks
3 given the subject matter we're talking about, what you say
4 will be public. Then turning to the schedule for today,
5 given the late start we're going to have to modify the
6 procedures a little bit. So I talked to staff and we've
7 decided that we're going to limit each question and each
8 answer to just 140 characters to keep it short. When we
9 get to 140 just stop.

10 (Laughter)

11 Actually, the schedule is going to be like this:
12 After I finish my remarks and some other opening remarks
13 we'll turn to one of our staff members, Mr. Slobodnik, who
14 will do a brief presentation about cyber standards or
15 guidance by other agencies, then we'll bring up our first
16 panel which will end around 12:45. We'll take a lunch
17 break for about an hour and return at 1:45. And then the
18 other two panels will last about 90 minutes each with a
19 15-minute break. And if we stay on that schedule we will
20 be done at about 5 o'clock today, which is a little bit
21 later than what we had planned, but would still allow a
22 good amount of time for the opening remarks for each
23 speaker but also for some discussion and questions
24 afterward.

25 With that, I would turn to our Commissioners and

1 see if they have any opening remarks, starting with
2 Commissioner LaFleur, please.

3 COMMISSIONER LaFLEUR: Thank you very much,
4 Mike. And I'd also like to thank everyone for coming, our
5 government colleagues and all the industry colleagues in
6 spite of the weather. This is the subject I'm very
7 interested in because I know I have a lot to learn, and I
8 think all of us have a lot to learn on this subject matter.
9 Because of the enforced snow days, I think I have heard
10 more of the testimony than any other tech conference I've
11 ever attended. But what I'm most interested in getting out
12 of today is assessing if the standard is needed and how
13 exactly a standard would add value and if there's other
14 approaches to consider, which there were lots of words in
15 the testimony about do a guideline and adopt this, and what
16 those other approaches would actually mean, how they would
17 be carried out, what specifically the Commission would do.
18 So as always, as specific as the panelists can be, the more
19 helpful it is about what you actually think what we should
20 do and what it means to you. Thank you, and I'll pass this
21 on.

22 COMMISSIONER HONORABLE: Thank you to
23 Commissioner LaFleur and to staff and everyone in
24 attendance. You all get a gold star; look at this room.
25 And it's about supply chain management, who would have

1 thought? I want to thank you all because I think your mere
2 appearance speaks to your interest in this. So I'm
3 grateful that you made a track from near and far and that
4 you weathered the sidewalks and roadways, and I hope you
5 make it back safely as well.

6 So with the help of our distinguished staff,
7 we've managed to assemble a formidable group of experts to
8 educate us on this topic, including transmission owners,
9 RTOs, trade associations, consultants, and technology
10 providers. And I believe you are indeed the experts. So
11 I, too, look forward to be educated. I will pop in and out
12 today because of appointments and rescheduling due to the
13 weather, but know that we are paying great attention to not
14 only the topic but your particularity as well. I did want
15 to thank you for your involvement, the comments that you've
16 raised. For those of you that have proposed -- a technical
17 conference on this topic, thank you in particular. I think
18 we might all learn a thing or two today.

19 I believe certainly the panelists we will hear
20 from today are responsible for the bulk power system from
21 California to Maine to even my home state of Arkansas. So
22 you come with a unique perspective and expertise that I
23 think will enable us to tackle the challenges. And I'm
24 hopeful that the challenges, that we will be able to see as
25 opportunities, will include exploring current efforts of

1 managing supply chain risks and government and other
2 sectors, and evaluating the need and whether there is a
3 need, for new or modified reliability standards, and
4 determining the proper scope of that. So many of you have
5 passionate opinions on all sides; I look forward to hearing
6 them. And most of all I look forward to our collective
7 effort in securing our national infrastructure. Thank you.

8 COMMISSIONER CLARK: When I walked in I thought
9 you all had been stranded here since Friday. If so, I
10 apologize. Hopefully the accommodations have been good.
11 There obviously is a lot of interest in this. When we
12 voted this order out I think all of us knew we were
13 exploring new areas of Commission authority and that there
14 would be a lot invested in what we're doing. I appreciate
15 the fact that you're all here in providing this input; it's
16 a very important area. What I'll be looking for today is
17 to add to the record and my thought-making process, number
18 one, what the Commission is proposing, is it adding value
19 to our reliability effort? And is it doing it in a way
20 that's both meaningful and is cost effective and is
21 effective in what it's trying to get at, or is it somehow
22 missing the mark? And if it is missing the mark, tell us
23 why. It's not easy to do so, but I would say the easier
24 part of this problem is always identifying the problems and
25 the challenges and the scenarios that might cause risk to

1 reliability. Always the more difficult part is what are
2 the exact solutions and how do we implement that in a way
3 that is going to be affective? That's where the lens I'll
4 be looking at as we fill up the record.

5 Again, thanks for being here. Like everyone, I
6 have appointments I have to juggle today, I will be in and
7 out. But I do appreciate you all at this point.

8 MR. BARDEE: Thank you all. And with that, I
9 would now turn to Simon Slobodnik, who is a member of the
10 Staff of the Office of Electric Reliability who will do a
11 presentation on supply chain risk management efforts
12 standards or guidance by certain other federal agencies.

13 MR. SLOBODNIK: Good morning. My name is Simon
14 Slobodnik. I will be presenting on the programs of several
15 other federal agencies. On July 16th, 2015, the Commission
16 issued a notice of proposed rulemaking for the reliability
17 standards. In this NOPR the Commission proposed to direct
18 NERC to develop new or modify reliability standards to
19 provide security controls for supply chain management for
20 industrial control systems, hardware, software, and
21 computing and networking services associated with the bulk
22 electric system operations. These security controls would
23 help manage the bulk electric system supply chain. Other
24 federal agencies have also proposed or issued guidance or
25 regulations regarding supply chain risk management. This

1 presentation will describe the supply chain risk management
2 programs.

3 In addition to producing the present budget, the
4 Office of Management and Budget issued instructions or
5 information in the form of guidance documents. These
6 guidance documents apply to all agencies of the executive
7 branch of the federal government, the agencies of the
8 National Security Systems as defined in U.S. Code Section
9 3542. OMB recently released for comment several
10 instructions that are in effect of the supply chain risk
11 management. It is a draft guidance titled "Improvements of
12 the Securities Section and Position".

13 On July 30th, 2015, OMB issued a request for
14 comment on those draft guidances. The comments period
15 ended on September 10th, 2015. OMB stated the increase in
16 threats facing federal information systems demands that
17 certain issues regarding information must be clearly
18 effectively and consistently addressed in federal
19 contracts. OMB's proposed guidance complies to information
20 of any applicable federal agency regardless whether the
21 information is hosted under federal information system or
22 the internal information system of a contract. Slide.

23 OMB addresses five general aspects of managing
24 supply chain risk: Security controls, cyber incident
25 reporting, security assessments, continuous monitoring, and

1 business due diligence. OMB draft guidance on security
2 controls is based on this special publication 800-53 and
3 800-171. 800-53 provides security controls produced to
4 protect federal information systems, including access
5 control, auditing, incident response, media protection,
6 business and business recovery. The only draft guidance
7 states that for contract systems, operators on behalf of
8 the federal government, an agency must require the
9 contractor system to meet the appropriate baseline in
10 800-53 as modified the agency's risk management
11 requirement. Also, for control and classified information
12 or CUI, the modern baseline for confidentiality should be
13 applied and adjusted if necessary. However, for
14 contractors internal systems used to provide a product or
15 service for the government, but continue to propose that
16 the agency should require the contractor to meet their
17 requirements of 800-171 rather than 800-53. Unless 800-171
18 provides instructions to federal agencies for protecting
19 CUI or non-federal systems and/or limitations where the
20 data is processed or stores transmitted.

21 On cyber incident reporting, OMB draft guidance
22 provides that reporting requirements are similar for
23 systems operated on behalf of the government and
24 contractor's internal system except that reporting for
25 incidents affecting the latter is required only for CUI.

1 The guidance states that at a minimum agency contractual
2 language must include, for example, that in the incident of
3 a cyber incident the timeline for reporting to an agency
4 should have information in a report. In every report the
5 guidance says that this reporting will allow the agency and
6 the contractor to work together to investigate the
7 incidents and take other responsive actions.

8 Persistent security assessments: Contractors
9 are required to ensure certain safeguards are in place
10 before operating a system. The draft guidance also would
11 require agencies to have access to conduct security reviews
12 on a periodic- and event-driven basis for the length of the
13 contract. In addition, is also has verification of
14 security assessment results by an independent third party
15 or the contractor based on the agency's risk assessment.

16 For security monitoring: The only guidance that
17 relies on the initiative known as Information Security
18 Continuous Monitoring, or ISCM. ISCM is identified in this
19 63 or the OMB. The guidance states that at a minimum a
20 contractor operating system on behalf of the government
21 must meet or exceed the monitoring requirements in the
22 prior OMB memorandum and that the agency must elect to
23 perform monitoring and heightened security of contract
24 systems with tools and infrastructure of its choosing.

25 On business due diligence, the draft guidance

1 notes that GSA has been working with agencies that support
2 and file the use of public records, publicly-available
3 data, and commercial subscription data to support due
4 diligence analysis. The guidance would direct GSA to
5 promote due diligence information sharing service and make
6 research tools available to agencies for these purposes.
7 Slide, please.

8 On August 26, 2015, the Department of Defense
9 issued a new term rule amending its position regulations.
10 The end term rule implement section under National Defense
11 Organization Act, or and NDOA, for fiscal years 2015 and
12 2016. The end term rule requires contractors and
13 subcontractors to report cyber incidents that result in an
14 actual or potentially adverse effect on covert systems or
15 on a contractor's facility to provide operation in critical
16 support. The end term rule incorporates security controls
17 from 800-171 stating that it is specifically tailored for
18 use of protecting sensitive information residing in the
19 contract information systems. Slide, please.

20 DOD's end term rule also establishes policies
21 and reviews when contracting for cloud computing services.
22 For example, the rule provides standard contract language
23 for the inquisition of cloud computing services, including
24 access to computer porting. These requirements work in
25 conjunction with the prior guidance in the acquisition of

1 commercial cloud services. DOD instruction 8500.01 cyber
2 security outlines all of this. Regarding all
3 vulnerabilities in a D global sources and distribution also
4 states that risk assessment should be addressed as
5 thoroughly as possible in the acquisition of an ID and in
6 an integrated manner across the IT life cycle. The end
7 term rule know that the high-profile cases of federal show,
8 need to ensure information security protections are
9 clearly, effectively, and consistently addressed in
10 contracts. Slide.

11 In addition, DOD addressed supply chain risk
12 management in 12 instruction 5200.44 on protection of
13 measuring critical function, trusted systems, and networks.
14 DOD instruction 5200.144 requires various heads of DOD
15 components to develop requirements, best practices, and
16 mitigations for trusted systems and networks. The intent
17 of the instructions is to incorporate the framework
18 applicable solicitation and contract language. DOD
19 instruction 5200.44 identified the activities needed to
20 address supply chain risk such as: Reducing
21 vulnerabilities in the DOD system designed for system
22 security engineering, controlling quality; configuration
23 and security of software, firmware, hardware and systems
24 throughout their life cycles, including components or
25 subcomponents from secondary sources, reducing the

1 likelihood of unknowingly using products containing
2 counterfeit components, detecting vulnerabilities within
3 custom or commodity hardware and software, and implementing
4 tailored programs for critical components in applicable
5 systems, and implementing an item unique identification for
6 national level traceability and critical components in
7 accordance with DOD instruction 88.20.04. Slide, please.

8 Since at least 2006 the Department of Energy has
9 been working with various efforts involving cyber security
10 of energy delivery and control. In 2009 DOD, DHS, and
11 industry cyber control systems such as NERC experts
12 elaborated to publish cyber security procurement language
13 control systems. This documents summarizes security
14 principles and controls to consider when designing and
15 procuring controls in product and service. In 2011 the
16 energy sector control systems working group developed a
17 roadmap to achieve energy delivery systems computers. The
18 roadmap includes strategies to help the energy sector
19 efforts. Further, the roadmap states that including member
20 security in the procurement process aligns the strategy to
21 build a culture of security, helping to make cyber security
22 practices reflexive and expectant of energy delivery. In
23 2014 DOE released cyber security procurement language for
24 energy delivery systems. This documents was developed by
25 energy effective control systems working group on the 2009

1 procurement document.

2 The 2014 document contains baseline cyber
3 security procurement language on topics such as affective
4 control account management, session management, and
5 authentication on logging. And the documents also
6 addresses, for example, a private security program which
7 should cover a product's design, development, manufacturer,
8 storage, delivery, and limitations, maintenance and
9 disposal. The document states that properly designed and
10 implemented security programs should lower the risks that
11 the supplier's product will present cyber security
12 challenges for the inquirer. Side, please.

13 In 2013 the Office of the Comptroller of the
14 Currency issued bulletin 20013-29 providing guidance to
15 national banks's and federal savings institutions,
16 assessing and managing risks with third-party
17 relationships. While this bulletin addressed many aspects
18 of third-party relationships, its guidance under the
19 Commission's theory would include the following
20 recommendations: Assess the third party's security
21 program; determine whether the third party has efficient
22 experience in identifying, assessing, and mitigating known
23 and emerging threats and vulnerabilities; determine whether
24 the technology is necessary or determine and assess the
25 third party's infrastructure application securities

1 program, including the software development life cycle and
2 vulnerability penetration; evaluate the third party's
3 ability to implement affective, sustainable corrective
4 actions to address deficiencies discovered during testing.

5 Next slide.

6 The Federal Financial Institutions Examination
7 Council, or FFIEC, includes representatives of the Board of
8 Governors of the Federal Reserve System, the FDIC, the
9 Office of the Comptroller of the currency, and other
10 financial charges. In June 2013 the FFIEC issued a federal
11 security assessment rule to help the Commission identify
12 the risks and determine their cyber security maturity. The
13 tool addressed various aspects of cyber security maturity,
14 including internal management. That role of the baselining
15 controlled several of the baseline controls described;
16 external dependencies provide that. The base due diligence
17 are performed by third parties before contracts are signed,
18 including reviews of their background, reputation,
19 financial position, stability, and security controls.
20 Contracts stipulate that third-party security controls are
21 regularly reviewed and validated by an independent third
22 party and contracts establish responsibility for responding
23 to the securities. The evolving maturity level controls
24 include the following: Critical business processes have
25 been mapped to the supporting external connection;

1 responsibility for the dedication; direct and indirect
2 security incentives and vulnerabilities, if documented in
3 contracts; and monitoring of third party's scale in terms
4 of depth and frequency according to the risk of the third
5 parties. For the advanced maturity level controls include
6 the following: High risk spenders are conducted on an
7 annual basis; contracts require third-party service
8 provider securities to meet those of the institution; and
9 third-party employee access to confidential data on
10 third-party systems is tracked actively. Slide.

11 In summary, the federal agency program
12 highlighted in this presentation could be used to inform or
13 help guide the development of a new or modified reliability
14 standard to provide security controls for supply chain or
15 industrial control system hardware, software, and computing
16 and networking services associated with bulk electric
17 system operations. This concludes my presentation of
18 supply chains security efforts by other federal agencies.
19 Thank you.

20 MR. BARDEE: Thank you, Simon.

21 Are there any questions for Simon? We'll go
22 ahead and get your presentation on the slide deck posted in
23 e-library. There's a slightly longer version which we
24 shortened a little bit to accommodate the schedule today.
25 Thank you.

1 If our first set of speakers could now come up,
2 we'd appreciate it. So each of our speakers will be given
3 some time to make some brief opening remarks before we get
4 to questioning. I would just ask the panelists before you
5 speak turn the microphone switch on in front of you; when
6 you're done turn it off, please. With that, I will
7 introduce our first speaker, Nadya Bartol, who is with the
8 Utilities Telecom Council. Nadya, thank you for being here
9 today.

10 MS. BARTOL: Thank you very much.

11 Good morning and thank you for the opportunity
12 to participate in this important initiative. My name is
13 Nadya Bartol, I'm vice president of Industry Affairs and
14 Cyber Security Strategists. UTC is a global trade
15 association dedicated to serving critical and
16 infrastructure providers such as electric, gas, and water
17 utilities. My role is to oversee the cyber security
18 initiatives, working with our members on their cyber
19 security challenges. My remarks today are based on my work
20 here regarding cyber supply chain initiatives within the
21 government entity organization since 2008. My remarks are
22 also based on my experience covering as the project editor
23 of the first and only comprehensive global standard of
24 information security relationship.

25 ISO supply chains has emerged as a challenge

1 relatively recently. The electric utility comes to this
2 challenge well-served by a comprehensive set of list of
3 studies that addresses cyber supply chain standards
4 relating to the supply risk chain. While there are many
5 available standards guidelines and best practices, some of
6 them will be discussed here today, and there are more.
7 Before NERC's international prior relationship ISO 670627,
8 an international standard and security requirements for
9 industrial control system's providers, RET6243-4, an
10 international standard that provides guidelines reducing
11 risks contained in my department, I-243, and also UTC's
12 cyber supply chain risk management utilities roadmap for
13 implementation. This is not a full list. I should note
14 that most of these documents, including the ones that will
15 be listed, reference each other and many of them share the
16 same content.

17 So why are we still challenged and what are the
18 challenges? Cyber supply chain risks evolve continuously
19 and many of the practices and processes to address are
20 implemented within their security ecosystem and across
21 other industries. These challenges include: Influence of
22 the ability of transparency and what happens. In some
23 cities there are problems to assemble, and these are where
24 solutions are being similarly challenged, supply chains.
25 Knowledge of best practice is not uniform across industry.

1 New ICT companies continue to enter the electrical utility
2 market; some of these companies do not have the background
3 in IT or the knowledge to deliver.

4 And finally, managing, coordinating, due
5 diligence is very complex. Adding security requirements
6 should be done carefully to reduce risk with construction
7 of the primary delivery of critical products and services,
8 and there's a financial impact to utilities and their
9 customers. NERC CIP 5 standards also covers control of the
10 registered entities. This coverage includes supply
11 personnel with access to the systems and facilities.
12 Examples are detailed in the written statement and include
13 many items from personal risk assessment to best corporate
14 standards. Prior standards encourage the development and
15 implementation of security features such as multi-factorial
16 visitation and unique passwords. We know from our member
17 organization, both utilities and their technology partners,
18 that NERC CIP requirements are the best technology
19 procurement. Solutions that perform in compliance are
20 viewed favorably in the market. However, the current
21 standards do not encourage truly innovative security
22 processes for the quality of techniques that involve beyond
23 NERC CIP requirements. Security risk factors have
24 compliance risk which makes entities reluctant to pursue
25 both procurement and security opportunities.

1 We believe that FERC should refrain from
2 directing development of a new CIP standard for the reasons
3 articulated above. However, FERC can engage in a number of
4 utilities that could help, specifically FERC's Commission
5 study that would collect, summarize, and make available to
6 the industry existing standards and guidelines. The study
7 would capture the list of existing standards, guidelines,
8 and best practices, as well as thus implementing
9 organization within and outside of the electricity sector;
10 continue encouraging the dialogue on this topic among the
11 suppliers about better solutions; and finally continuing
12 and getting the industry into discussions in a structured
13 format like today and unstructured format such as workshops
14 and facilitated discussions. It's a complex challenge that
15 faces an organization's collective education and
16 collaborative work across the utility ecosystem is
17 required. Thank you.

18 MR. BARDEE: Thank you, Nadya.

19 Next we have Jon Boyens. He is from the
20 National Institute of Standards and Technology. Jon?

21 MR. BOYENS: Thank you.

22 So I was unable to submit a written statement
23 primary due to anything written necessitates a fairly long
24 time. Please bear with me; I will try to be quick. But I
25 did want to get something down for the record as well.

1 Good morning. I'm Jon Boyens with the National
2 Institute of Standards and Technology and leader
3 information and communication technology supply chain risk
4 management program. Thank you for the opportunity to
5 participate in this event. My remarks this morning
6 represent my own opinions; they do not necessarily
7 represent those of my agency. I will do my best to respond
8 to the four bulleted areas of interest in the agenda, but
9 not necessarily in that order, based on my experience over
10 the last several years. But I must provide the caveat that
11 my research guidance work of ICT or cyber supply chain risk
12 management, I will use those interchangeably, and it does
13 cover both information technology and operational
14 technology. I've been directed through federal government
15 organization to provide a high level of cutting across
16 multiple sectors, but my work is not focused specifically
17 on the energy sector. Over the last decade supply chains
18 have become increasingly dispersed, efficient, and
19 globalized. Improved supply chains, together with
20 pre-trade policies, have offered remarkably benefits to the
21 ICT industry who build employ products and services. These
22 advantages have benefited both public and private sectors
23 for society at large by making affordable and innovative
24 products and services available. However, this trend has
25 also created a complex system in which it is difficult for

1 suppliers and vendors in the like to understand or control
2 the often-opaque practices and processes used to design,
3 make, source, and deliver products. This in turn makes it
4 difficult for organizations to understand how to mitigate
5 to their supply chain, as well as risks to the products and
6 components traversing their supply chain. And while supply
7 chain risks may exist for all products and services, the
8 lack of visibility and control that an end user has with
9 respect to quality, integrity, and security products and
10 services compounds the challenges of effectively managing
11 these risks.

12 Due to the complexity arising, it is often
13 difficult for inquirers to make any informed risk-based
14 purchasing decisions. In many respects technology
15 evolution has outpaced procurement practices. User demand
16 for better, faster, and more broadly-applicable
17 capabilities frequently takes precedence over the demand
18 for security. As a result, ICT functionality reasonably
19 expresses the development of acquisition practices that may
20 not be secure.

21 Traditionally, ICT risks have been managed
22 within the cyber security or information security domain,
23 while supply chain risk management has remained as a
24 separate focal area. ICT and compliance risk management
25 lies -- and that's ICT or cyber supply chain risk

1 management -- lies at the intersection of cyber security
2 and supply chain risk management, mixing risk and
3 mitigation strategies from both disciplines. However, in
4 many organizations cyber security and supply chain risk
5 management are considered separate; their management
6 processes often operate in isolation or do not intersect.
7 This disconnect often prevents an organization from clearly
8 defining its internal roles and functions, fully using
9 their existing capabilities and tools, or from expressing
10 and negotiating expectations externally through agreements
11 through partners both upstream and downstream.

12 If taken to one extreme, ICT supply chain risk
13 management could conceivably encompass all elements of
14 cyber security such as covering the entire system
15 development life cycle. On the other hand, if ICT supply
16 chain risk management is very narrowly defined, such that
17 it encompasses only logistics and related activities, gaps
18 in areas such as security-of-design manufacturing and
19 quality assurance will render even the most rigorous,
20 innovative logistic core process ineffective. I would
21 state that the opposite is true, too, that if it's only
22 focused on information security, much is lost.

23 The approach taken by NIST in its
24 recently-released social publication 801.61 -- 171 -- 161,
25 supply chain risk management practices with federal

1 information systems organizations is to address ICT supply
2 chain risk management in a manner previously unaddressed by
3 either traditional information security or supply chain
4 practices. NIST's work and ITC supply chain risk
5 management dates back to 2008 when it was asked to develop
6 guidance for federal agency's nonnational security systems.
7 NIST spent the following three years doing research and
8 engaging with government and industry stakeholders to
9 develop notional guidance. Though we released this
10 notional guidance as a NIST agency report or a NIST OIR,
11 which in this instance is best characterized as the white
12 paper, NIST chose to take a different approach when it
13 eventually offered more formal supply chain risk management
14 guidance in federal agencies. This decision was made after
15 a consultation with industry and government stakeholders,
16 and based on the fact that our notional guidance
17 recommended unique practices that diverged from existing
18 requirements, and would have been too costly for federal
19 acquirers who ultimately had to bear the cost for
20 implementation.

21 As the information security controls by
22 themselves were being insufficient for managing supply
23 chain risk, the approach NIST took was publication 800.161
24 was to integrate supply chain risk management into and
25 build on existing NIST guidance in security control,

1 supporting risk management activities. This approach
2 provides acquirers of supply chain risk management with
3 specific guidance and controls while minimizing the burden
4 to suppliers. While this approach may not be perfect, as
5 it still may over-live or rely on information security
6 control and not fully integrate information security in
7 traditional supply chain risk management, it allows
8 organizations to develop policies and practices
9 commensurate with the level of risk.

10 Though ICT supply chain risk management remains
11 an embryonic discipline with diverse perspectives on
12 foundational definitions and scope, incomplete, shared, and
13 understood bodies of knowledge and fragmented approaches of
14 standards of risk practices, many organizations -- many who
15 are here today and will be speaking later -- including
16 owners and operators and IT vendors, nonetheless use
17 sophisticated, proprietary practices. Stemming from the
18 work necessitated while developing the framework for
19 improving the framework around critical infrastructure
20 cyber security is the leading research on industry best
21 practices for cyber supply chain risk management. Though
22 this research is not yet complete, our finding that some
23 best practices ranging from organizational strategies that
24 break down functional loads to vendor risk assessment
25 framework and assessment tools, to manufacturing quality

1 and integrity, and many, many more.

2 While I shared NIST's approach with what I hope
3 constitutes lessons learned, I would also FERC to continue
4 to broadly engage all stakeholders, as well as the broader
5 ICT supply chain risk management community across all
6 sectors to find the best approach and solutions to what is
7 undoubtedly one of the most difficult challenges we face
8 today. Thank you again for allowing me to address this
9 important topic.

10 In short -- in summary, I should say -- while I
11 do not believe information security controls are sufficient
12 to handle the broader supply chain issue, that it's
13 important to be flexible and non-prescriptive, or the
14 burden of many of those controls are both placed on the
15 acquirer as well as the supplier.

16 MR. BARDEE: Thank you, Jon.

17 Next we have John Galloway with ISO New England.

18 MR. GALLOWAY: Good morning. My name is John
19 Galloway, I work at ISO New England as the director of
20 cyber security. I'd like to thank the Commission for
21 setting up this conference to discuss the issues related to
22 supply chain risk management and providing me with an
23 opportunity to speak.

24 In sum, ISO New England supports the
25 Commission's proposal to direct NERC to develop

1 requirements relating to supply chain risk management. We
2 believe the risks the reliability of the bulk electric
3 system that result from compromised third-part software are
4 significant and largely unaddressed by existing reliability
5 standards. A new reliability standard that requires
6 vendors to test their use of best practices is the best and
7 simplest way to reduce these risks. While many public
8 utilities are already addressing these risks and asking
9 vendors to address, these one-off efforts are less likely
10 to be effective than an industry-wide reliability standard.

11 In my next comments I'll try to direct the rest
12 of the issue before the Commission. Challenges faced in
13 managing supply chain risk: One challenge that comes up
14 immediately is the number of possible risks one were to
15 simply try to enumerate them, multiplied by the number of
16 supply chain members which may or may not be obvious
17 depending upon how well one can remain transparent into how
18 supply chains act or form. Absence of current security:
19 Quality assurance practices in some supplier cases poses a
20 bit of a challenge; for example, some software suppliers.
21 These notions are new to a few companies that may be in the
22 midst of trying to adopt such practices, while in the case
23 of a well-established or larger software provider like
24 Microsoft, these practices have been standard for years.
25 So there's going to be diverse adoption in some cases.

1 Another challenge: Required to buy or build
2 risk tradeoffs are going to be part of regular project
3 practice. And that goes hand in hand with development of
4 contract purchasing. If you add supply chain risk, that
5 changes culture with take quite awhile to actually work
6 their way through an organization.

7 Effective evaluation of the enumerated risks or
8 prioritization in business decision-making such as vendor
9 selection and rating practices: That's an awful, big
10 mouthful. But basically changing such practices takes
11 time; people have built up experience for years in that
12 sort of effort and this would require a re-thinkable lot of
13 the way that's done. A number of vendors may chose not to
14 negotiate further contract terms for their security
15 postures, especially large vendors. Attempts to get a
16 contract for protection would be difficult, thereby having
17 a reliability standard would increase the likelihood of
18 success if all of the entities in the industry need these
19 same protections from these vendors.

20 Point 2: How the current CIP standards provide
21 supply chain risk management control today. Version 5 of
22 CIP 3, 4, and 5 already address logical and physical
23 controls for onsite vendors. In addition to Version 5, 6
24 and 7 require systems security management controls for
25 software supply for supporting reliability functions.

1 However, these existing reliability standards are far less
2 comprehensive than we need. They are precedents for NERC
3 standards and they require a registered entity to manage
4 their relationship with their vendors, so they contribute
5 in some sense to mitigating current supply chain risk, but
6 there's more that can be done.

7 How the current CIP standards incentivize or
8 inhibit introduction of more secure technology. In terms
9 of incentive, the existence of the reliability standard for
10 some years now has promoted discussion of cyber security
11 requirements for products and practices relative to
12 reliability functions. And this is simplified and
13 supported in negotiation of contract terms for qualities of
14 software being purchased, as well as the support for such
15 systems. So there's already a good track record indicating
16 that such standards could possibly influence supply chain
17 risk mitigation. In terms of inhibition, there are some
18 assumptions built into the present standard requirements
19 regarding network and physical citing and access
20 restrictions that may make adoption to some technical
21 measures permitting reliability function more difficult.
22 Specifically, recent advances in virtual networks, virtual
23 storage, virtual systems, and application clustering which
24 can support a very dynamic provision of the services and
25 improve availability or resilience, may result in multiple,

1 physical, and network locations being involved. This can
2 pose a challenge when one's looking at a standard that
3 looks to have services identified specifically in
4 particular electronic or physical security parameters. So
5 compliance risk can be part of the picture when
6 implementing the more-advanced form of service.

7 Possible other approaches that the Commission
8 can take to mitigate supply chain risk: The Commission
9 could work with industry, Department of Energy, and NIST to
10 update the cyber security framework to include or further
11 specify consideration in the use of supply chain risk
12 management in that standard. But I would remind you that
13 that framework is voluntary in nature at the moment and
14 does not provide as much support in a contract negotiation
15 as a mandatory reliability standard, if one were approved
16 by the Commission. The Commission could direct NERC and
17 industry to augment or enhance controls currently
18 associated with CIP 7 system management controls relevant
19 to supply chain risk management. This might involve
20 extending CIP 7 standard regarding system security
21 management. This could increase administrative burden and
22 particularly reliability standards which is tended to be
23 scoped in terms of systems quality as a presently-given
24 entity, as opposed to those being developed along the
25 supply chain. This would be an indirect, and perhaps not

1 as well-understood, approach to the industry as compared to
2 the reliability standard directly addressing management
3 supply chain risks. Thank you, that's my comments.

4 MR. BARDEE: Thank you, John.

5 Next we have John Goode from the Mid Continent
6 ISO.

7 MR. GOODE: Thank you very much and good
8 morning. MISO Mid Continent system operator welcomes the
9 invitation to present a presentation on supply chain
10 security. For those of you who don't know me, I'm John
11 Goode, MISO's chief information officer. I'm responsible
12 for IT's strategy, operations, including cyber security and
13 CIP compliance. I've been fortunate enough to have a long
14 career in a variety of regulation industries, including
15 telecommunications, ample markets and trading, healthcare,
16 and now the bulk electricity proceedings, which I'm
17 delighted to be in, by the way.

18 MISO's position on supply chain security can be
19 summarized in the following brief comments: MISO supports
20 supply chain security guidance or standards for the
21 electricity industry; I'll emphasize "guidance". Common
22 guidance or standards will establish a consistent baseline
23 across all parts of the electronic industry, which is a
24 good thing. To accelerate adoption in a program, we
25 believe the industry should use prior proven frameworks for

1 supply chain security, such as those used in the financial
2 or healthcare industry. A unique industry-specific
3 standard may lead to slower delayed adoption; may drive
4 critical vendors out of the electricity industry; and much
5 can be learned from this high trust; and even the
6 independent third-party review used in 16 systems. These
7 security frameworks should be risk based, not necessarily
8 one size fits all.

9 And finally, CIP regulation on supply chain
10 security should begin with a pilot based on mandatory
11 guidance that we can gauge adoption and effectiveness, as
12 well as create an effective approach to review, including
13 audit, evidence collection, jurisdiction, and enforcement.
14 ISO, like any regional transmission organization, is unique
15 with its relationship to the bulk electricity system. You
16 see our roles providing technology bases with a mission to
17 serve and ensure reliability, versus directly controlling
18 the bulk electricity grid.

19 Our supply chain's extensive and include some of
20 the most highest technology from biggest vendors in the
21 world, including AT&T, Cisco, IBM, Oracle, HP, Microsoft.
22 As an RTO, ISO has taken an enterprise-risk management
23 approach managing our business, our technology in essence,
24 and our supply chain. With respect to CIP, we have new
25 compliance to CIP standards at a minimum requirement. We

1 are continuing seeking traditional security standards and
2 best practices above and beyond those required through CIP
3 compliance. For example, the MISO supply chain security
4 program best practices proved to be affective in the
5 financial industry.

6 When asked what are the challenges in managing
7 supply chain risk, vendors with an ISO supply chain are
8 both numerous and diverse. Within the ESP we have several
9 hundred. As I mentioned, ISO works with enterprise-classed
10 vendors such as Cisco, HP, Oracle, Microsoft, and others,
11 as well as electric industry-specific vendors such as GD
12 Grid and ODTI, just to name a few. Enterprise-classed
13 vendors tend to provide exceptional service, follow
14 well-vetted security standards and best practice. The
15 enterprise-class vendors had already been required to
16 advance their security capabilities and to ensure their
17 security is in a compliance posture for their customers.

18 We believe vendors that strictly serve the
19 electricity industry are in greater need of supply chain
20 security improvement due to the electricity industry's
21 growing state of security. When asked do the current CIP
22 standards cover supply chain risk management? Current CIP
23 standards address the obligation to register entities
24 subject to the Commission jurisdiction such as MISO. CIP
25 oversees how we design, build, operate, and maintain our

1 CIP standards, and we enjoy that partnership. These
2 standards do not directly impose obligations on industry
3 supply chain vendors or suppliers; that's left to the
4 registered entities themselves, contract terms or other
5 means, sometimes with great effectiveness and sometimes
6 with limited effectiveness. Additionally, the current CIP
7 standards do not address the upstream development delivery
8 system assigns modifications by these same vendors.

9 Does CIP incentivize or inhibit or secure
10 technology? Standards create a minimum baseline security
11 that work for the industry; it's a practice we recommend
12 and support. As I previously mentioned with any CIP
13 standard, current or future, ISO will continue to
14 supplement the security standards and best practices beyond
15 those required for CIP compliance to ensure we maintain a
16 comprehensive security program and supply chain security
17 posture.

18 So to reiterate my position, or MISO's position,
19 we support supply chain security guidance for standards for
20 the electricity industry. We would like to see it based on
21 proven best practice that exist in other industries
22 already, going as far as to directly adopt high trust
23 during other existing framework. These security frameworks
24 should be risk-based, not necessarily one size fit all.
25 Enterprise-class vendors, or first of all industry vendors,

1 require different controls and different focus.

2 Finally, again, CIP regulation of supply chain
3 should begin with a pilot based on mandatory guidance so we
4 can gauge its application and effectiveness as a group and
5 create as a group an affective approach to review,
6 including audit, collection, jurisdiction, and therefore
7 enforcement. I have further detailed comments in my
8 written comments. I thank you for the ability to
9 participate in the conference.

10 MR. BARDEE: Thank you, Mr. Goode.

11 Next we have Barry Lawson from the National
12 Rural Electric Cooperative Association.

13 MR. LAWSON: Thank you.

14 Good morning members of the Commission and the
15 Commission staff. NRECA appreciates the opportunity to
16 participate in today's conference, and we also appreciate
17 that the Commission invited one of our members, Robert
18 McClanahan, from Arkansas Electric Cooperative to also
19 participate on panel 3. So we appreciate that addition as
20 well.

21 NRECA and its members actively participate in
22 the American standards process including the CIP standards
23 that are today's topic of discussion. More specifically,
24 we had three G&T members, Generation and Transmission
25 cooperative members, that were members or are members of

1 the current CIP standard's drafting team. We also had many
2 other cooperators that participated by submitting comments
3 and casting ballots.

4 NRECA understands the importance of the supply
5 chain issue and its potential impacts it could have on BES
6 reliability. We also recognize the risks and realize the
7 dynamic nature of the supply the chain landscape. NRECA
8 and its members do not believe that additional incentives
9 or new standard requirements are needed to address supply
10 chain risks; it's already in our collective best interest
11 to pursue as much assurance as possible from vendors,
12 suppliers, and manufacturers as it relates to adherence to
13 contract terms and manufacturing specifications. NRECA and
14 its members are unaware of any BES reliability events that
15 have been caused by an exploited supply chain risk, and we
16 do not believe there are unaddressed reliability gaps in
17 this area.

18 NRECA's members already work closely with each
19 other on supply chain issues; they also work together on
20 contract and purchasing best practices, and when practical
21 they work together to increase their purchasing power.
22 Primarily due to them being smaller than many other
23 utilities, it's sometimes beneficial to band together for
24 purchasing needs. The members that we have are also
25 working closely with vendors, suppliers, and manufacturers

1 to share ideas and increase the understanding of industry
2 needs in the supply chain area. The introduction of new
3 standard requirements addressing supply chain issues we
4 believe could very likely have significant negative impacts
5 on NRECA members, vendors, suppliers, and manufacturer
6 relationship and negotiation strategies.

7 Further, the introduction of standard
8 requirements could limit the number of vendors, suppliers,
9 and manufacturers that are able and/or willing to
10 manufacture materials in systems for use by NRECA's members
11 and other utilities. This could result in unintended
12 consequences such as quality and price increases and
13 reducing manufacturing capacity due to a smaller pool of
14 entities to buy from. And therefore we believe FERC should
15 refrain from impacting industry, economic purchasing and
16 business strategy practices and decision-making.

17 NRECA views CIP Version 5 as striking the right
18 balance between specific and prescriptive requirements and
19 providing entities the flexibility to determine the best
20 methods for how to achieve compliance and for a secure and
21 reliability BES. Version 5 provides a comprehensive
22 structure or framework that enables entities to prepare for
23 and adapt to new and evolving threats. This risk-based
24 approach allows entities to quickly adjust their security
25 protocols without having to develop a new standard

1 requirement for each and every new risk that is identified.

2 Additionally, as you've heard from some of the
3 other panelists already, we believe that Version 5
4 standards do address some of the supply chain issues that
5 are being talked about today. The NERC CIP standards are
6 not the only vehicle for addressing supply chain issues.
7 There are numerous supply chain tools and best practices
8 that are in use by industry; some of these include the NIST
9 publications that we've already heard about; also the
10 Department of Energy's cyber security procurement language
11 for energy delivery systems document. And I'm going to
12 plug NRECA here: We also have a guide for developing a
13 cyber security and risk mitigation plan that has been
14 shared with all of our electric coop members.

15 So, when you look at all of these tools that are
16 out there today -- and there are many more that I have not
17 mentioned -- but there's also internal utility supply chain
18 policies and procedures that have been developed over the
19 decades. This is not an issue that has been ignored; it is
20 an issue that we are all very aware of and we know that
21 it's a changing landscape but we're trying to change along
22 with those changes that are taking place.

23 In conclusion, NRECA believes that FERC could
24 best help industry by working collaboratively with us, the
25 Electricity Subsector Coordinating Council, NERC, other

1 federal government agencies, vendors, suppliers,
2 manufacturers, and others, to review and update, as needed,
3 existing guidance tools and best practices on supply chain
4 issues. This, to us, seems to be the best direction to
5 pursue now instead of developing new standard requirements.
6 As an aside, if the Commission were to consider doing such
7 a collaborative process on developing business practices
8 and guidance, I want to let you know we have excellent
9 conference facilities at NRECA in Arlington.

10 (Laughter)

11 And we'd be more than happy to host an event
12 like that, which my co-ord said that would help me in. But
13 we would be more than happy to host an event or multiple
14 events like that. Anyways, I look forward to the
15 discussion. Thank you.

16 MR. BARDEE: Thank you, Barry. We certainly
17 appreciate the offer.

18 (Laughter)

19 Next we have Helen Nalley from the Southern
20 Company.

21 MS. NALLEY: Good morning. I'm Helen Nalley.
22 I'm the operations and compliance director at Southern
23 Company at Birmingham, Alabama. I'm privileged to
24 represent both the Edison Electric entity today, as well as
25 Southern Company.

1 While we agree that supply chain risks require
2 careful consideration in managing critical infrastructure
3 protection and cyber security, we do not agree that a
4 reliability gap exists in the mandatory cyber security
5 standards CIP Version 5 to explicitly address supply chain
6 risks. Without time and experience from the implementation
7 process for CIP Version 5, it is premature to conclude
8 these requirements contain any reliability gaps that merit
9 formal review in the standards development process.
10 Instead of a directive or additional mandatory
11 requirements, we believe that several existing supply chain
12 practices and procedures provide a strong portfolio for
13 addressing the rifts, including for example the NIST
14 framework as we heard today. Today's conference will
15 highlight several of those practices. This approach is
16 justified and will meet the Commission's objectives because
17 CIP Version 5 standards provide a strong framework that (1)
18 Provides a defense-in-depth or risk-based approach to
19 ensure application of the broad range of security controls
20 proportionate to the risk faced by each company; (2) Allows
21 companies to adopt their risk management strategies as new
22 threats arise and technologies evolve; and (3) helps ensure
23 companies can efficiently integrate the NERC-related
24 compliance action with their enterprise-wide risk
25 management efforts.

1 Industry implementation of this framework
2 requires comprehensive, highly detailed, and candid
3 discussion and negotiations with third-party vendors on a
4 broad range of sensitive matters within the supply chain.
5 We urge the Commission to recognize its jurisdictional
6 responsibilities and boundaries and consider how most
7 effectively to use them. The complexities of supply chain
8 management both internally, within corporate boundaries,
9 and externally through the business relationships companies
10 maintain with their hardware and software vendors, and the
11 risk-based nature of supply chain risk management
12 practices, simply do not offer a good fit with
13 Commission-approved reliability standards. Moreover,
14 prescriptive mandatory standards may result in the
15 unintended consequences of hampering utility efforts to
16 manage their supply chain risks.

17 Electric companies take very seriously their
18 public service responsibilities and have strong incentives
19 to maintain high levels of service quality, including bulk
20 system reliability, under a broad range of federal, state,
21 and local requirements. Industrial control system
22 suppliers operate in an extremely large and dynamic global
23 marketplace and incorporate strong processes to protect
24 against intentional and inadvertent assertion of devices of
25 corporate code that can manage or destroy the entity's

1 assets controlled by information technology components.

2 In response to the issues, this panel was

3 encouraged to address I'll start with the challenges to

4 managing supply chain risks. EER and other companies

5 experience three broad categories of challenges. First,

6 the market for the hardware and software used in industrial

7 control systems is enormous, global, extremely complex, and

8 maintains a fast pace of technology change. Vendors and

9 users specify and purchase hardware and software systems,

10 all of which include numerous components and subcomponents

11 which may be made by different manufacturers in different

12 parts of the world. The buyers of these systems often do

13 not have full visibility into the complex vendor

14 environment, making management managing measurable system

15 purchases of the supply chain management difficult for

16 users such as utilities. Second, given the diverse nature

17 of utility asset and asset configurations, we need

18 flexibility to choose products that support our specific

19 risk management strategies and meet the functional needs of

20 the system; explicit mandatory requirements cannot provide

21 this flexibility. Third, we have already dedicated

22 extensive management time and attention to dealing with

23 software and hardware upgrades and security patches to

24 vendor-provided systems. In other agencies such as the

25 automotive industry, when vulnerability is discovered in a

1 vendor's product, it is the vendor's responsibility to
2 remediate it at no cost to the customer, often through a
3 recall process. With utility-control systems there is no
4 obligation for vendor's vulnerability and the customers
5 usually have to pay a maintenance contract for the
6 privileges of obtaining fixes to the vendor's original
7 problem. At times very expensive upgrades to new versions
8 are required.

9 This supply chain challenge is also regulated
10 under CIP V 5 which brings me to the second issue on how
11 the CIP figure provides supply chain risk management
12 controls. In the joint trade association comments filed
13 with this docket we map the V 5 requirements to the NIST
14 framework to the supply chain control. For example, CIP
15 10-2 addressed the prevention and detection of unauthorized
16 changes to the BES cyber systems, configuration change
17 management, and vulnerability assessment requirements and
18 support of protecting BES cyber systems from compromises
19 that could lead to mis-operation or instability. So CIP
20 10-2 requires configuration testing and change monitoring,
21 as well as vulnerability assessments. In addition, both
22 CIP V 4, access management controls for both physical and
23 logical, as well as CIP 11, information protection
24 controls, provide further examples of the comprehensive,
25 in-depth design of NERC CIP standards. The CIP

1 requirements provide strong incentives for utilities to
2 work with suppliers and vendors during their acquisition,
3 delivery, and integration stages of the supply chain life
4 cycle to minimize their compliance risk during their
5 operations change.

6 While CIP maps to NIST, it is important to
7 recognize that CIP is not formal for ordinance requirements
8 and compliance obligations. While NIST offers a broad
9 range of considerations that companies could consider in
10 developing specific standards, we view a high and rising
11 likelihood that mandatory requirements in technology and
12 inventions affixes flexibility for tailoring IT strategies
13 and designs. Specifically, we are discovering that CIP
14 Version 5 implementation has created some significant
15 challenges for the use of innovative security solutions.

16 And as mentioned earlier, for example, CIP
17 Version 5 is silent on virtualization, a technology not
18 contemplated at the time the Version 5 standards were
19 drafted. Without clarity for demonstrating compliance,
20 companies could seek technology applications that allow
21 more straight-forward compliance demonstrations. This
22 issue can become more troublesome if the Commission
23 required additional mandatory requirements to address
24 supply chain risks.

25 In addition to inhibiting flexible technology

1 designs and using new technologies, additional mandatory
2 supply chain requirements will likely hamper negotiations
3 with numerous vendors and could possibly discourage vendors
4 from entering or remaining in the market to serve the
5 utility industry. We strongly believe that requirements
6 will ultimately narrow the market field to only the largest
7 vendors with the most resources, thus stifling innovation,
8 competition, and potentially increasing costs. Instead of
9 ordering the developing opening requirements, we urge the
10 Commission on ensuring that the CIP Version 5 requirements
11 set an enduring framework that allow utilities to ensure
12 they achieve reliability objectives, including cyber
13 security risk management, and allow for flexibility in
14 deciding how best to efficiently and effectively achieve
15 those outcomes and manage the risks. Companies do not lack
16 incentives for maintaining reliability.

17 I appreciate the opportunity to represent the
18 EEI members and Southern Company and I look forward to
19 further discussion.

20 MR. BARDEE: Thank you, Helen.

21 Next we have Jacob Olcott from BitSight
22 Technologies.

23 MR. OLCOTT: Good morning Commissioners, staff,
24 and fellow attendees. My name is Jake Olcott, I'm going to
25 share some observations with you today on this topic of

1 supply chain risk management. I have spent more than a
2 decade working on cyber security, legal, and policy issues
3 affecting the electric grid and other prevalent structures,
4 including on the supply chain security. I was a lawyer for
5 the House of Representatives Homeland Security Committee,
6 as well as the Southern College Committee. I am now
7 currently vice president with BitSight Technologies.

8 In brief, BitSight is a cyber security
9 information company. We rate companies based on security
10 incidents and configurations we observe from entirely
11 outside from their networks. Our ratings and underlying
12 data provide our customers with quantitative, objective,
13 real-time information about the cyber security posture
14 about their third- and fourth-party supply chain vendors
15 and partners. BitSight is currently rating 40,000
16 organizations, including over 2,000 energy utility
17 companies and thousands of their critical third-party
18 vendors. A number of our customers are testifying today.

19 In the interest of time, I'd like to highlight
20 just a few informations from my written statement. First,
21 cyber tech targeting and supply issuing have become very
22 common, particularly attacks against third-party business
23 associates and third-party service providers. Sometimes
24 these parties have a direct network connection to the
25 first-party network, and this was the case in the attack

1 against the retail vendor, retail chain, Target, which
2 actually began with an attack against Target third-party
3 vendors; the malicious actors essentially wrote a
4 connection into the Target network.

5 In other situations the attackers target a
6 third-party business that does not have a direct network
7 connection but still holds a lot of sensitive data. This
8 is the case a few months ago in the example of T-Mobile
9 where T-Mobile customer accounts were stolen and the
10 malicious actors wrote into Experian, which is a
11 third-party business associate of T-Mobile, also affecting
12 many of us current and former U.S. government employees and
13 their background check information where the malicious
14 actors broke into third-party contractors to the federal
15 government to steal background check data and also
16 credentials. As already suggested, the electric sector is
17 not immune from these challenges and these types of
18 attacks, and third-party utilities have been targeted.
19 Bitsight regularly observes security maintained on a
20 variety of electric sector organizations, including
21 third-party vendors. As more organizations focus on
22 protecting themselves, the malicious actors will continue
23 to target weak links, and then the supply chain.

24 Second, the FERC staff has amended a number of
25 federal and state regulators and other sectors, including

1 the financial sector, healthcare, retail, consumer data,
2 and others have recognized that third-party risk management
3 is a critical issue for their sectors. And they have
4 established or are establishing regulations or requirements
5 for supply chain risk management. And I just wanted to
6 share some observations with you on those requirements.
7 There's actually a lot of consistency with the way that
8 other regulators approach supply chain regulations.

9 In short, regulators generally require their
10 regulated entities to create vendor risk management
11 programs that include four main elements: First,
12 regulators are requiring their regulated entities to tier
13 vendors based on totality. This should be treated as a
14 risk-nature approach; not all vendors should be considered
15 equal, some pose a more serious risk than others.
16 Sometimes regulators specify what data should be considered
17 critical, in other sectors it would be personal health
18 information or personal-identifiable information, but also
19 what types of technologies service providers consider
20 critical. For example, in the financial sector it is
21 retail payment systems. The bulk power system's critical
22 third-party may include vendors who provide IT, ICT, and
23 ICS systems critical to the operation's bulk power system
24 or maintain connectivity or access to critical bulk power
25 system networks. But critical third parties may also be

1 those vendors who hold or maintain sensitive bulk power
2 system data but do not have direct connections into the
3 infrastructure itself.

4 No. 2, other regulators are stressing that the
5 risk in securing critical vendors should be assessed prior
6 to a contracting award. This is now sort of colloquially
7 -- you know what I'm trying to say -- this is known as
8 cyber due diligence. Organizations will develop their own
9 requirements, they will review documentations, including
10 audits and assessments conducted by any third parties prior
11 to issuing a contractor award.

12 No. 3, the number 3 thing that regulators are
13 doing, they are requiring that contracts include security
14 provisions. Contracts with critical vendors should include
15 provisions that establish expectations, insurance coverage,
16 compliance with best practices, and timely notification in
17 the event of an incident. As other panelists have pointed
18 out, there are people out there that organizations will ask
19 their vendors to meet, including ISO, NIST, and critical
20 security control technology, trust technology provider
21 standard, et cetera.

22 The last thing, No. 4, is that regulators ask
23 their organizations to perform what's called ongoing
24 monitoring for the duration of the relationship; And in my
25 opinion this is where the market is really responding to

1 demands of commercial companies. Previously, the state of
2 the art for ongoing monitoring was the time and mutual
3 intent of the process involving written surveys, onsite
4 visits, and periodic security scans. Organizations and
5 their regulators realize now that cyberspace, where threats
6 evolve on an hourly basis or even a minute-by-minute basis,
7 annual assessments and written responses only provide a
8 snapshot in time. What organizations are interested in are
9 continuous monitoring of their critical vendors. And this
10 is why the National Science Foundation awarded BitSight a
11 prestigious grant in 2011 to work on our field across --
12 various regulated and unregulated industries are using our
13 ratings today, because we are able to provide a continuous,
14 automated, objective measurement of security performance
15 without the use of questionnaires or intrusive network
16 testing.

17 In sum, as FERC considers adopting new supply
18 chain risk management standards, it is important to
19 emphasize initiatives that are focused on qualitative,
20 continuous risk management rather than subjective,
21 check-the-box compliance activities. And I would also say
22 it's also important to recognize that there is a rapidly
23 developing market for a third-party vendor risk managements
24 solutions, and BitSight is excited to be part of those
25 solutions.

1 Thank you very much for the invitation to be
2 here today. I look forward to answering your questions.

3 MR. BARDEE: Thank you, Jake.

4 And our final speaker on this panel is Marc
5 Sachs from NERC.

6 MR. SACHS: Saved the best for last.

7 (Laughter.)

8 My name is Marc Sachs. I'm the senior vice
9 president and chief security officer at NERC, North
10 American Electric Corporation. I greatly appreciate the
11 opportunity to participate in today's technical conference
12 relating to supply chain risk management.

13 As we discussed in our filed comments on the
14 revised critical infrastructure protection standards notice
15 for proposed rulemaking, we appreciate the Commission's
16 attention to this issue, and we feel it is vital to the
17 reliability and security of the bulk power system that
18 electricity subsector participants continue focusing on
19 mitigating security risks associated with global supply
20 chain. As the Commission discusses in the NOPR complex
21 supply chain for information and communications technology,
22 as well as industrial control systems, represents
23 significant risks to the bulk power system security, but
24 also provide various opportunities for adversaries to
25 initiate cyber attacks.

1 I'm going to discuss a little background on my
2 perspective on the globalization. I'll also talk a little
3 bit about the CIP reliability standards as they stand and
4 how they can relate to supply chain. And should the
5 Commission decide to direct NERC to develop additional
6 reliability standards, I'm going to offer just some
7 considerations the Commission might want to be involved in.

8 Supply chain risk management is certainly not an
9 issue that most of the electric sector faces by itself. It
10 cuts across all industry sectors; it presents challenges
11 for states, for federal governments, private citizens,
12 private business, all of us. For the past couple of
13 decades I have been fortunate to serve in multiple
14 positions in the federal government private sector in
15 security; I worked a lot in supply chain issues, I've done
16 a lot of research into it. So I can offer a kind of
17 interesting perspective on what we're looking at and the
18 challenges that we're facing. Based on these experiences,
19 I'm aware of the challenges associated with the supply
20 chain risk management in its accordance to the critical
21 infrastructure sectors. Supply chain risk management is a
22 global, complex issue that is not susceptible to a single,
23 one-size-fits-all approach; we have to stay away from that,
24 this has to be somewhat flexible.

25 Supply chain information and technology control

1 systems are long, multi-dimensional: They involve numerous
2 parties in a multitude of countries across the world. Many
3 entities may participate in the development, design,
4 manufacturing, and delivery of a single product purchased
5 by one of our registered entities. For example, it's been
6 estimated that nearly a hundred percent of all the
7 electronic components sold here in the United States --
8 ranging from consumer smartphones, TV sets, microwave
9 ovens, all the way up to control systems sensors and
10 critical equipment -- the electronics and the electronic
11 components manufacturing largely outside of the United
12 States. That's a fact; that's globalization. Nearly all
13 of this movement ranging from Asia, South/Central America,
14 Middle East manufacturing, is due to lower labor costs in
15 those regions, reliable global high-speed communication
16 networks, relatively low shipping costs, and lower than
17 existing import duties into the United States. We cannot
18 go back, we will not go back to domestic-only production
19 business services. Our nation's economy, as well as the
20 economies of other countries, depends on this globalized
21 supply chain. We must recognize that other countries that
22 are experiencing the same vulnerabilities and the same
23 concerns look to the United State for leadership and
24 guidance to help them mitigate these same types of threats.

25 So let me turn a little bit internal now into

1 NERC. The supply chain management risks are constantly
2 evolving. The development and sharing of industry best
3 practices lessons learned and developing the technical
4 means to mitigate those risks, including identifying
5 counterfeit or non-genuine components, is the way ahead.
6 NERC understands that the electric industry is already
7 well-engaged in this activity; for example, as already
8 pointed out earlier that we've been participating in
9 development of the BOB guidelines, cyber security
10 procurement language, furnishing delivery systems, EEI as
11 mentioned has already been involved in developing
12 principles and recommendations, as has several others
13 throughout the sector. NERC is committed to using its
14 committee reliability tools, the guidelines, training
15 exercises, situational awareness, what we do with the EEI
16 sec, what is necessary with the reliability standards, to
17 support the industry's efforts to mitigate supply chain
18 risks.

19 As we detailed in our NOPR comments, our CIP
20 reliability standards already include requirements that
21 help mitigate supply chain risk. Let me just highlight a
22 couple of these; it's a fairly long list. I made these
23 corresponding controls in NIST's SPE protection, which was
24 just been mentioned a moment ago. For example, we have
25 requirements to implement cyber security awareness

1 programs; to implement personnel risk assessments; to
2 implement access management and access revocation programs;
3 to implement protections to control electronic -- bulk
4 electric system cyber systems; to implement patch
5 management processes; to implement processes to deploy and
6 detect and mitigate malicious code; to implement processes
7 for system access control; to implement security plans; to
8 implement plans to recover the reliability of functions
9 performed by bulk electric cyber systems in the event of an
10 incident; to perform vulnerability assessments; to
11 implement plans to address risks associated with transient
12 devices; and to implement processes for protecting critical
13 information. That's just a highlight; there's many more we
14 could pull from the standards.

15 But given the limitations of Section 215 of the
16 Federal Power Act, additional NERC reliability standards
17 may not be the most efficient and effective way of
18 mitigating these emerging risks. As the Commission
19 recognizes, the reliability standard under Section 215 of
20 the Federal Power Act has limited applicability. It
21 cannot -- and I'm quoting -- "Directly impose obligations
22 on suppliers, vendors, or other entities that provide
23 products or services to registered entities", unquote.
24 Many of the actions of suppliers, vendors, and third
25 parties are beyond the control of registered entities, and

1 in turn they breach NERC's reliability standards. To
2 mitigate supply chain security risks, the electric sector
3 participants must work closely with other industry sectors
4 and global partners and the suppliers of these services,
5 and continue to develop, share, and refine existing
6 guidance documents and practices for addressing the supply
7 chain risk management.

8 However -- this will be the last part I'd like
9 to talk about -- should the Commission direct NERC to
10 develop commissionally mandatory standards, let me offer some
11 considerations. First, it should provide sufficient time
12 for standard development activities to enable NERC to
13 thoroughly consider these issues and engage in educational
14 outreach efforts, including additional technical
15 conferences and a formation of a task force, as we
16 discussed in our opening comments, to provide a better
17 understanding of the nature of supply chain risks to the
18 extent to a manner in which mandatory reliability standards
19 can effectively protect against those risks. We also
20 recommend that FERC should clarify that any such
21 reliability standard builds on existing protections in the
22 CIP reliability standards in the practices of the
23 registered entities, and focuses primarily on those
24 procedural controls registered entities reasonably be
25 expected to implement during the procurement of the policy

1 services associated with bulk electric-sector operations.

2 As be discussed in our comments, the supply
3 chain management reliability standards could include
4 procedural controls; I've uploaded three areas here:
5 Procedural controls surrounding the need to transact with
6 an organizations that insert criteria, in other words, we
7 would only transact with a trusted supplier; we may include
8 cyber security procurement language in contracts with
9 suppliers, vendors, and contractors for products and
10 services; or we could review and validate security
11 practices with buyers, vendors, and contractors to the
12 extent possible. Another potential approach would be to
13 require registered entities to obtain certification from a
14 supplier that an independent third party has reviewed and
15 endorsed that the supplier's supply chain practices are in
16 line.

17 Further, the Commission should also stress
18 supply chain management reliability standard, should we
19 develop one, must be flexible to account for the vendor's
20 need with registered entities the diversity of our system
21 requirements, environments, technologies, and risks, and
22 also the issues related to developing these mandatory NERC
23 reliability standards.

24 I thank you very much for the opportunity to
25 present these issues. I look forward to any questions.

1 MR. BARDEE: Thank you, Marc.

2 Given the time left for questioning, let me turn
3 first to our Commissioners and see if they would like to
4 ask any questions before staff does. If you prefer that
5 staff do the questioning, that's perfectly fine, too.

6 COMMISSIONER LaFLEUR: I guess I'll ask one
7 question so I don't take all the time.

8 That was really helpful. I'm sorry I stepped
9 out for a minute, but I did read all of the testimony also.
10 In really struggling whether there's a way that the
11 Commission could add value through our Section 215 work, I
12 take as valid the point that companies are self-motivated
13 to have good supply chain risk management already; that's
14 clearly true. But that in a way proves too much, because
15 that's sort of everything we regulate under the standard.
16 Companies trim trees and set relays and fenced in their
17 substations long before Congress gave us the responsibility
18 to set mandatory guidelines and audit them. So in some
19 ways they're always codifying common steps and being one
20 step ahead.

21 Several of you have mentioned leveraging,
22 somehow leveraging, the work of ISO, NIST, DOE, the
23 financial sector, other organizations. Could anyone
24 suggest how we should do that? Should we somehow require
25 companies to follow a particular guideline, look for

1 guidance, look for clarity when we do audits that they're
2 on top of it in some way? Or just put out a guidance
3 document for pointing people in the right direction? Other
4 than finding that there's no reliability gap here, does
5 anyone have any suggestion about what we do with all that
6 work that's been done? Just to keep myself quiet, I'm
7 going to pass the mic along now.

8 MR. BOYENS: So the two documents, NIST
9 documents that were referenced, are the cyber security
10 framework, which is not a standard, it's a big framework
11 that involves many different standards. Part of our work
12 stemming from that, since supply chain is really mentioned
13 in only one subcategory of the entire core framework, is to
14 look at how supply chain risk management fits into the
15 cyber security framework. Because it really runs
16 throughout all the different functional areas. Now, part
17 of our process, which is not finished, has identified some
18 gaps in that. The second publication, which I led and
19 coauthored, was the 800.161 specifically to supply chain
20 risk management for federal information system and
21 organizations. Our approach that we took there, since it
22 was not deemed that information security controlled by
23 themselves covered aspects of supply chain, but yet we
24 didn't want to be too disruptive. So what we did is we
25 took the current guidance on risk management, the current

1 guidance on risk assessments, and added in supply chain
2 risk management aspects into those processes.

3 Similarly, when you go into the control
4 selection, what we did is we extracted -- we looked at over
5 800 different control enhancements in our security catalog
6 -- extracted those out that we thought were specifically
7 related to supply chain risk management, and then we
8 offered supply chain risk management implementation
9 guidance that is specific to those controls. So instead of
10 trying to create a completely different paradigm, which we
11 did in our initial notional guidance which we pushed back
12 several ages, we decided to use something that was already
13 in place and modified.

14 COMMISSIONER LaFLEUR: So is it your point that
15 we should look through CIP and see what's already there or
16 we should point people to the NIST documents and say "this
17 has been done"?

18 MR. BOYENS: So it's outside of my purview to
19 really comment on CIP. But that is one approach, would be
20 to look at what is there and do a gap analysis.

21 COMMISSIONER LaFLEUR: Thank you.

22 MR. GOODE: I would like to enter a statement in
23 response to the Commissioner. I think we could look at
24 existing work that's been done to very quickly identify
25 frameworks that are applicable as a base of mandatory or

1 voluntary guidance, right. Voluntary guidance, then you
2 could actually do reviews if you wanted to if our regions
3 go out and do reviews of everyone's acceptance and driving
4 efficiency of that. I think there's a big learning
5 opportunity for us; there's work that's gone out already,
6 supply chain is very broad, very close, right. And we want
7 to get the things that actually increase the cyber security
8 protection of the grid and not just wind up being a
9 reporting obligation, right. So, again, I think we can
10 pull together as an industry group working with FERC and
11 NERC, identify the standards we want to follow immediately,
12 start the education and the training within our
13 organizations to make sure we're following those standards.
14 And then much like the SEC, which was somewhat voluntary,
15 ISO would be welcome to review by their regions to make
16 sure and assess our cyber compliance, our voluntary
17 compliance of that standard.

18 MR. LAWSON: Yes. I think we have to remember
19 that the Department of Energy developed a very focused set
20 of best practices on supply chain issues for the electric
21 utility industry. Maybe that's a good starting point. We
22 don't need to develop something new if we have something
23 that is already very focused on our sector. And I believe
24 that that document takes into account many of the other
25 documents we've heard about today. Let's take a look at

1 that collaboratively, like I mentioned earlier all players,
2 let's look at that. Let's see if updates may be needed; if
3 they are, let's work through the Department of Energy to
4 update that. Let's see if anything more than that might be
5 needed. The thing is it's already there; let's see if
6 there's anything that needs to be modified.

7 COMMISSIONER LaFLEUR: But you would keep it
8 modified?

9 MR. LAWSON: Yes.

10 COMMISSIONER LaFLEUR: Not somehow incorporate
11 the DOE standards is what you're saying?

12 MR. LAWSON: Yes.

13 MS. NALLEY: I was thinking about this, that we
14 already have an excellent example of how to do this in a
15 collaborative way with the risk-based compliance monitoring
16 enforcement program. NERC, along with regions and
17 industry, and I was one of those participants somewhat in
18 that process, have really moved the compliance monitoring
19 enforcement program light years in that process. And I
20 think that kind of collaborative approach that isn't a
21 mandatory standard, that is a practice that the regions can
22 utilize in their compliance programs in monitoring, and I
23 think that's an excellent example of a process we could use
24 to take this forward.

25 COMMISSIONER CLARK: Thanks to everyone for

1 excellent comments. If I were to give an overview of what
2 I think I've heard, which is the first question of: Is
3 this important and are the potential gaps here in something
4 we need to be paying attention to? This is something we
5 all need to be paying attention to, number one. So that's
6 good, we all got agreement on that. Once you move past
7 that to the question of should there be some sort of
8 FERC/NERC standard or not, then it's fallen into two camps.
9 One is, yes, it's important enough to merit a standard.
10 But within that, the next thing I sense strong anonymity
11 that it needs to be flexible, it needs to be risk-based,
12 not prescriptive. The other argument would be no, it would
13 be better to have voluntary standards in an industry
14 inceptive to do the right thing in this case. It's
15 interesting, I had the exact same reaction that
16 Commissioner LaFleur did, which is: The Commission can't
17 just rely on that argument. Because if we rely on that
18 argument it calls for the question why do we have CIP 1, 2,
19 3, 4, 5, 6? That alone, I don't think would be enough
20 because it's kind of a pre-215 world for the Commission.

21 So then we have to ask : If voluntary is
22 enough, it would be helpful to know -- and I know some of
23 you have bits of this in your testimony, but if you put a
24 little bit more meat on the bones -- is there something
25 that's different about supply chain management that makes

1 Commission action in this particularly ineffective or
2 ill-suited in a way that differentiates it from all of the
3 other areas of CIP standards that we've done, and voluntary
4 actions are better or more efficient in this case, but it's
5 somehow different than the last one? So if you could just
6 sort of tease that out for me a little bit, that would be
7 very helpful.

8 MS. BARTOL: So to the question cyber supply
9 chain risk management is a shared responsibility between
10 acquirers and suppliers. We use the term in that sense,
11 which is from session to disposal, and only a life cycle is
12 within the control of the registered entities. Then you
13 stop with the registered entities could do anything, and
14 then the supplier part of it starts. So there's a
15 jurisdictional challenge and there's only an inference
16 challenge on the part of the supplier and the
17 energy-developing facility that some of things they can
18 influence and some they cannot. So it creates an inherit
19 limitation in the challenge.

20 COMMISSIONER CLARK: Are some of those
21 challenges overcome by the Commission -- and obviously we
22 can't directly ask the vendors themselves or the
23 suppliers -- but if a standard is written flexibly enough
24 that we're incorporating some of the things I think we
25 talked about in terms of ensuring that you're following

1 best practices to manage the potential, maybe it's things
2 like third-party oversight or third-party certification
3 when you're dealing with the proper matters, things like
4 that. Or is it not the Commission attempting to write the
5 rule but rather ensuring that the utility is following best
6 practices. Does that ameliorate those issues that we've
7 come to at this point or is there a way to get around that?

8 MR. GALLOWAY: I believe that that would
9 actually ameliorate some of the difficulties encountered in
10 the complex relationship between the supplier and the
11 provider and user of technology. So at ISO New England we
12 believe that, yes, third-party reviews, due diligence, and
13 just tracking the risk per vendor class and the like would
14 probably serve well enough to mitigate some of the risks
15 that we see regularly in dealing with some of our
16 suppliers, that we just need to see a consistent approach,
17 see a baseline developed for it, and that be something that
18 we know we have to take into every contract negotiation
19 consistently. That's what we're looking for.

20 COMMISSIONER CLARK: Barry?

21 MR. LAWSON: I guess I'm looking at this as if
22 I'm a registered entity with NERC. And if there is some
23 type of standard in this area, it has to be understood that
24 we could be talking about me as a registered entity being
25 found in violation of a standard due to something I cannot

1 control. I don't think that's the way we want to proceed.
2 I cannot control whether a supplier or a
3 subcontractor/supplier providing equipment or devices,
4 software, whatever you want, to the person I've contracted
5 with, but why should I as a registered entity be found in
6 violation of something I can't control in the first place?
7 So, yes, we can put provisions in contracts; we can
8 negotiate all of these types of things we're talking about
9 here. But we cannot make that happen; that's a contractual
10 issue between me and a supplier. So I think it's a little
11 bit of a dangerous edge to be on in that way, and I think
12 we want to make sure that we're not being held accountable
13 for actions we can't control.

14 MS. NALLEY: I had the pleasure, in quotes, to
15 be involved in negotiations with some fairly large
16 contracts. And one thing we've run up against is just in
17 negotiating those provisions, the companies have their own
18 perspective of how they want to do business. And as we've
19 tried to impose our requirements on those, it can get to be
20 some pretty interesting negotiations between particularly
21 our lawyers and their lawyers. So one thing I would really
22 recommend, as we think about this further, that we do
23 involve folks who know and understand contract law quite
24 well, because the implications to contract law are pretty
25 significant as you're going through this. So one of the

1 worries I have about the standard is how reactive standards
2 are as opposed to proactive. And I think the
3 virtualization example that we used earlier is a perfect
4 example of how technology really depends on the standards
5 that haven't caught up to it yet. But whatever we do, it
6 need to be very flexible so that innovation is not stifled
7 and companies have the opportunity to contract with
8 companies that can deliver the best services and products
9 for them.

10 MR. SACHS: Let me just give remarks here.
11 Having worked with this in other sectors in critical
12 infrastructures, procurement is what we're talking about is
13 a business function, it's not an operations piece kind of
14 like maintaining your books, finances, payment of
15 employees, things that are business processes. So we have
16 to be very careful about: Is a business process something
17 that we want to approach regulation on? That being said,
18 our suppliers are the same of what supplies transportation,
19 telecommunications, finance, and many others. The only
20 thing we can't develop something that's just unique to us
21 again because we're globalized. And not only in the U.S.
22 and Canada, but Western Europe, Asia, Africa, we all have
23 to be consistent.

24 COMMISSIONER CLARK: Thank you. That's all I
25 have.

1 COMMISSIONER HONORABLE: Mr. Sachs, I'll begin
2 with you.

3 And I'll ask pointed questions in the interest
4 of time, Mr. Bardee, because I'm on the clock.

5 (Laughter.)

6 Thank you all so much. Your comments were very
7 thoughtful and you've brought a wealth of knowledge and
8 expertise and it will be very, very helpful for the
9 Commissioners, I'm certain, but to our advisors and to the
10 FERC staff as well.

11 Mr. Sachs, I think I had a question for you
12 about your point about you were saying Commission, we
13 really don't need this sort of standard, however, if you
14 decide to go there here are some things to keep in mind.
15 The second point you made is that we should clarify the
16 reliability standard existing protections and focus
17 primarily on those procedural controls that registered
18 entities can reasonably be expected to implement. I want
19 to ask you, you're very courteous, are you saying remember
20 your jurisdictional limitations, you said the point that
21 Mr. Lawson references that be practical and recognize that
22 it wouldn't be prudent to require things of us that are not
23 within our control. I just want to say.

24 MR. SACHS: I couldn't have said it any better.

25 COMMISSIONER HONORABLE: Thank you, I just

1 wanted to make sure we were on the same page. Commissioner
2 Clark's questions regarding verified, I heard that in Ms.
3 Nalley's testimony, thank you for offering that.

4 My second question is for Mr. Lawson. And first
5 I have to say: Thank you for acknowledging Arkansas. I
6 was looking for Robert McClanahan. There you are. I know
7 you've got a bit at home too. Thank you. And always you
8 are welcome back, in fact the meeting room as you know is
9 the Arkansas coop, I call it the United Nations, it would
10 put this room to shame. So thank you.

11 I want to ask you, Mr. Lawson, in your comments
12 you referenced, I think you expressed some hesitancy about
13 the need for it in the first instance for this type of
14 standard. And you referenced the potential for significant
15 negative impacts on the working relationship from NRECA's
16 members, manufacturers, within the new standard. Would you
17 expound on that?

18 MR. LAWSON: Sure. I tried to at least address
19 that quickly in my oral comments. But we're concerned that
20 if there is too rigid of a standard or any sort of
21 mandatory tool in the supply chain area, that you could
22 window down the number of manufacturers, the suppliers,
23 that would be willing to provide such materials and devices
24 to our sector as they may not want to have to work within
25 those parameters. That's one area. I think when you start

1 getting into the economics of things, we're talking about
2 less suppliers could potentially mean higher prices for
3 this equipment. That means now the Commission could
4 potentially be effectively sitting at the negotiation table
5 with us and our vendors, suppliers, manufacturers. So
6 we're concerned that that has not really been examined
7 closely at all in our sector. And way before anything
8 should be, in our opinion, proposed from the Commission,
9 there's a lot of work and a lot of analysis that needs to
10 be done and considered. So that's what I was getting at.

11 COMMISSIONER HONORABLE: Certainly. And I will
12 certainly keep that in mind; I'm sure my colleagues will.
13 And particularly the presence, those of you that know me
14 have heard me say this before, our goal is not to allow
15 standards and regulation to impede progress, to impede the
16 important work that occurs in the industry. So I'm very
17 cognizant of barriers and unintended consequences. Thank
18 you all.

19 Sure, of course.

20 MR. BOYENS: So as I think to kind of overall:
21 From this experience where we actually developed guidelines
22 for federal agency nonnational security systems for
23 departments and agencies that have very, very broad
24 missions, so we stay at a certain level and offer guidance.
25 But what we found in supply chain risk management is the

1 key importance for that risk assessment and the risk
2 management approach where you do a criticality analysis to
3 be able to determine where those critical threats are
4 throughout your mission and support your mission. And
5 those threats go down into the acquisition procurement
6 process so that you know where the most important parts and
7 components are where you are willing to actually invest in
8 oral acquisition processes contract language. The second
9 thing which is part of that is we have found that supply
10 chain risk management, which we define as throughout the
11 system development life cycle, really an organization has
12 the most control within its organizational boundary. And
13 many things can be done within that organizational boundary
14 that reduces that risk, that there are limitations when you
15 start going out into the acquisition process in the tier 1,
16 2, 3 parts of the suppliers. But even in that area we've
17 seen an similar approach between those organizations who
18 has risk, the ultimate risk position, and those making
19 procurement decisions, and that there needs to be a link
20 between those two areas.

21 COMMISSIONER HONORABLE: Thank you.

22 MR. BARDEE: Let me ask one question before we
23 excuse the panel and get our lunch break. The discussion
24 so far has made clear there's already been a lot of work
25 done in this area -- no need to reinvent the wheel in this

1 context -- and also that there's a need for flexibility to
2 avoid unintended consequences and adverse harm to people's
3 business models and needs. So let me turn to you, Marc.
4 I'm open to other panelists addressing this too. One
5 possibility would be for the Commission to say, "Give us a
6 standard that deals with utilities that only deal with
7 vendors who do A, B, C, D", whatever list of controls you
8 might impose on your vendors. Instead of that, would it be
9 preferable, feasible, to develop a standard that says only
10 deal with vendors, at least perhaps for some level of
11 criticality of your services and goods, if they meet a set
12 of standards that's out there. And perhaps NERC could keep
13 a list and update it periodically of a set of standards
14 that would be appropriate in that context, whether it
15 includes things put out by NIST or things put out by other
16 entities, it would just say here's various sets of
17 standards that vendors could meet and whether it's their on
18 attestation or through a third party's verification or
19 through the utility inspection. Would that be one way to
20 build in some flexibility to change this over time and not
21 create too tight a box?

22 MR. SACHS: I think there are many approaches.
23 We could also recommend the task force so we get a lot of
24 minds together to work on it.

25 We've seen this in other areas of the supply the

1 chain, not just ICT electronic-type things, procurement of
2 steel, concrete, building materials. We have lots of
3 national standards suppliers have. So if I'm a road
4 builder and I'm going to rebuild a bridge on I-95, I'm
5 going to build it to a certain code, but the supply system
6 beyond the control infrastructure has been providing me
7 with steel that meets some certain standards. This applies
8 to all suppliers of steel. Could we do that with ICT?
9 Could there be something in place for critical
10 infrastructure that's found in public and private sectors,
11 that those components have to meet some sort of federal
12 standard? That's a possible approach, and certainly would
13 apply to all critical infrastructures and not just
14 electricity. That's my biggest fear, we would develop
15 something that's just for us and it doesn't map to what
16 everybody else is doing. I think that's what you've heard
17 here, we've got a wealth of knowledge that's been
18 accumulating to leverage that system with all the other
19 infrastructures. Because we're all buying from the same
20 suppliers: Same country, same sources.

21 MR. LAWSON: I think we're better served to
22 examine these issues outside the standard process. As soon
23 as you go into that process, there are certain rules, there
24 are certain -- I guess I'll say it becomes much more
25 legalistic at that point. I think we'd be best served to

1 do that outside of that process. I think DOE is a very
2 logical place to start. They have a guidance document
3 already very specific to what we're speaking of here today.
4 And I think we'd be best served to do that, starting with
5 DOE. It was a very good process to develop that document;
6 DOE worked very closely with all sectors of the electric
7 power industry, and I think I have no doubt that they would
8 do that again in that kind of work.

9 MR. GOODE: I believe that that would be an
10 excellent way to start a program and actually accelerate
11 adoption of it. Then you could look at here's a set of
12 framework that factually convey the same guidelines and
13 standards FERC could develop. Your large enterprise
14 vendors that are already compliant to other industries are
15 selling to, to feel free to provide at the stations around
16 that. Smaller vendors who need to billicate [sic] ability
17 to identify a standard and build forms across the several
18 -- the different industries they'd work in, I think it
19 would be good for our suppliers, good for us, and also good
20 for the Commission.

21 And the final piece of it is we're dealing when
22 it comes to cyber security with very sensitive topics: The
23 whole issue of evidence, how do we prove that our vendors
24 are compliant? And we need some sort of third-party review
25 adoption of the existing standard that potentially provides

1 that framework would be an excellent way, again, to
2 accelerate adoption, incorporate in a year versus years.

3 MS. NALLEY: One final request is that we
4 remember the complexity of the bulk electric system and the
5 fact that we have systems that are old and decrepit. I
6 guess I shouldn't use that word, but they're old. And we
7 have systems that are much more new and modern. And so
8 something that is safe and does reflect the differences in
9 the systems that are in place today would be extremely
10 helpful.

11 MR. BARDEE: I'd like to thank all of you for
12 being here today and, again, apologize for the late start
13 and the adjustment to the schedule. But we certainly
14 appreciate your insights today. I look forward to working
15 with you as this process goes forward. Thanks.

16 We'll be back at 1:45.

17 (Whereupon a lunch break is taken.)

18 MR. BARDEE: Let me welcome back everybody for
19 this afternoon session, starting with panel 2. We had a
20 thorough and interesting discussion this morning, and if
21 the audience will settle down we'll proceed with a little
22 more conversation. I'll just introduce the speakers as we
23 go down the table, we'll start here with Michael Kuberski.

24 MR. KUBERSKI: Thank you. Good afternoon,
25 Commission staff. I'm Michael Kuberski, I'm the manager of

1 protection and automation for Pepco Holdings. Thank you
2 for the opportunity to participate in today's technical
3 conference.

4 Pepco Holdings is one of the largest energy
5 deliver countries in the mid-Atlantic serving about two
6 million customers from Delaware, District of Columbia,
7 Maryland, and New Jersey. Pepco provides regulated
8 electric service, Delmarva Power also provides all --
9 natural gas. As a service provider for our nation's
10 capital, we recognize our responsibility to employ
11 effective, cost-enrichment plans to maintain the safety and
12 reliability of the nation's electric grid. We respect and
13 share the Commission's goals to focus on the security and
14 reliability of critical infrastructure.

15 Consistent with Edison Electric Institute and
16 the Joint Trade Association, comments filed in this
17 document, PHI does not believe that a new or modified NERC
18 reliability standard is needed on top of the existing
19 standards to continue to achieve these goals. Primarily,
20 we feel Version 5 of the mandatory NERC CIP, Critical
21 Infrastructure Protection, cyber security standards are
22 reasonable and appropriate and require that will be
23 facilitate risk management. Electric utilities are similar
24 to critical services we provide. However, the utilities do
25 not fit in the one-size-fits-all approach. There are

1 differences in the operational, information, and
2 communication technology assets we procure to safely and
3 reliably deliver electricity to our several territories.

4 We find ICTS suppliers are constantly innovating
5 and driving better solutions in the marketplace. Utilities
6 need the flexibility to adapt these solutions. Additional
7 requirements may hinder marketplace advancements if they
8 are not modified fast enough to keep pace with the new
9 technology that comes out with discovered products. We
10 should avoid the scenario where the technology exists that
11 is better for security and reliability, but not unusable
12 because it is not part of the standard or creates
13 compliance risk. We also do not want to drive innovative
14 suppliers from the electric market allowing for attackers
15 to focus on smaller lists of vendors to attempt to attack
16 or exploit.

17 As previously stated, PHI views the CIP Version
18 5 requirements at appropriate and reasonable. A risk
19 supply chain compromise that could introduce products with
20 malicious functionality is a cyber security threat and for
21 many reasons not under the control of the utilities or
22 vendors. Therefore, the risk is compromise cannot be fully
23 mitigated. Since PHI uses a number of vendors that use
24 multiple third-party suppliers for components and their
25 technologies, PHI views supply chain risk management as a

1 shared responsibility that requires collaboration and
2 well-defined expectations. Various government activities
3 can also support that collaboration effort by sharing
4 information on product vulnerabilities.

5 PHI supports existing NERC CIP Version 5 control
6 which effectively provide utility controls for supply chain
7 risks while not overburdening suppliers. We feel supply
8 chain processes should not be regulated but controlled by
9 the organizations that must govern them to their unique
10 environments. We support ongoing efforts involving
11 voluntary guidelines within industry new supply chain cyber
12 risks and system technologies. PHI believes it can adapt
13 quicker to changing cyber environments that we're able to
14 adopt. Vendors have demonstrated a vested interest to
15 secure manufacturing developments and practices if for no
16 other reason than to protect their name brand and market
17 share. PHI strongly believes it has in place effective
18 processes and qualities where these vendors' practices
19 integrating technologies into critical systems which
20 supports CIP Version 5 requirements. In view of the
21 validation of processes chosen by members of ICP providers
22 takes place when PHI conducts requests for proposals for
23 ICP products and services. PHI strongly recommends that
24 the Commission avoid seeking to incorporate various
25 purchasing practices or policies into the NERC mandatory

1 requirements. Cyber asset contracts should include terms
2 and conditions that specifically address matters of cyber
3 security while providing audit rights to access vendors'
4 securities to contracts.

5 PHI believes in truly vetting vendors' practices
6 and supports consideration of these steps of the
7 manufacturing process through design to build to ongoing
8 support. It is important to note that we should not be
9 setting guidelines and should not be setting prescriptive
10 measures so that we do not make relatively impact
11 innovation. PHI supports vendor testing and digital
12 inspectional cyber assets. We encourage security
13 assessments for the frequency based on risk, assessed
14 risks, and critical leverage. PHI and its vendor partners
15 will continue to exercise training, management, and control
16 on cyber asset firmware and software and minimize potential
17 exploitable vulnerabilities. PHI conducts periodic threat
18 and risk assessment to vendors and also conducts advanced
19 risk assessments through third-party experts. Based on the
20 findings of the risk assessment, we determine the
21 methodologies to mitigate the risks. Mitigation methods
22 should be evaluated as a key component to our architectural
23 changes needed to be made.

24 If it is determined that the standard is
25 required to address supply chain, which we feel is

1 adequately addressed in the existing NERC CIP Version 5
2 standard, it would be necessary to include key stakeholders
3 in the development of this standard. FERC should not
4 deploy any standard strategy without being informed input
5 of key stakeholders, vendors of operational technology, ICT
6 equipment facilities, utilities and standards
7 organizations. The new NERC CIP standards to be
8 implemented in April 2016 will provide further incentives
9 for PHI to have control to manage the risk. PHI recommends
10 that the Commission allow CIP Version 5 implementation to
11 inform evaluation of risk standard strength, effectiveness,
12 and not create yet another standard. This will allow PHI
13 and vendors to continue to improve upon industry technical
14 standard and approaches for the IT systems that enable
15 critical business processes with an emphasis on the secure
16 functionality of the hardware devices and software
17 applications. For example, creating internal utility
18 technical review boards to guide such approaches, as well
19 as reach and develop new operational technologies and
20 inform information technologies would be helpful. Vendors
21 should play a key role in the early stages of the supply
22 chain life cycle, and we have to ensure that they are aware
23 of our critical security requirements and the implications
24 of noncompliance or non-conformance.

25 While the existing NERC standards represent

1 strong processes in mitigating cyber risks to the bulk
2 electric power system, PHI has concerns that additional
3 standards may stifle market competition and technical
4 innovation. While oversight and collaboration with vendors
5 is necessary and exist today in the form of tested, mature
6 and effective -- PHI does not wish to hinder its supplier
7 relationships or reduce the number of potential vendors in
8 the marketplace with requirements that would cause
9 inefficient or costly outcomes or reduce the company's
10 ability to negotiate with potential vendors.

11 We support continued industry collaboration,
12 including development and implementation of guidelines that
13 are not prescriptive, and that the existing framework
14 offered by NIST, DOE, and IEEE. Together we can maintain
15 the ability needed to protect our critical systems while
16 staying on the leading edge of technology advancements that
17 enhance the reliability and security of our systems.

18 Thank you for the opportunity to participate in
19 today's conference I look forward to any further
20 discussions on this important topic.

21 MR. BARDEE: Thank you, Michael.

22 Next we have Jonathan Appelbaum from the United
23 Illuminating Company.

24 MR. APPELBAUM: Thank you.

25 Good afternoon Commission staff. My name is

1 Jonathan Appelbaum, I'm the director of the United
2 Illuminating Company. Thank you for the opportunity to
3 participate in today's conference.

4 UI is a subsidiary Omnilight (phonetic), a
5 distribution company engaged in the purchase, transmission,
6 distribution, and sale of electricity of related to
7 approximately 325,000 residential and industrial,
8 commercial, subject to the mandatory reliability standards,
9 developed and enforced by the North American Reliability
10 Corporation. UI supports the association comments
11 submitted by the Edison Institute, the American Public
12 Power Association, National Cooperative Association, the
13 Electricity Consumers Resource Council, and Large Public
14 Power Council.

15 In response to the Commission' notice on
16 rulemaking issued last year, I appreciate the Commission
17 holding this conference to continue the discussion. UI
18 acknowledges that there are challenges in managing supply
19 chain risk. We do not believe a reliability standard to a
20 modification to an existing standard addresses quality
21 while industrial control systems and computing and network
22 services associated with the bulk electric system
23 operation. Although the critical infrastructure in
24 reliability standards is not specifically mentioned in
25 supply chain, it is important to emphasize for the

1 Commission that these standards adequately address the
2 risks and creates a strong incentive for responsible
3 entities working with suppliers and entities. A
4 reliability standard of modifications of existing standards
5 is not appropriate in the limited ability environment. For
6 example, the NIST SV961 definition of supply chain is the
7 integrated set of components, processes within the
8 organizational boundaries that composes
9 environment-enriching systems developed and manufactured,
10 tested, deployed, and maintained when required with the
11 Commission. Notice that this definition scopes activities
12 go within the organization.

13 Life cycle of the industrial control system,
14 which includes research, development, design,
15 manufacturing, acquisition, delivery, information,
16 operations, retirement, and disposal, is not entirely
17 within the organizational boundary of electric power
18 utilities that own and operate that system. The utility,
19 environment, or boundary should be at the disposal.

20 Requiring utilities to manage risk in a research
21 development, design, and manufacturing transfer risk known
22 by suppliers to the responsible entity. These are in
23 supplier environments, accompany the manufacturer control
24 systems, and not within the utility environment. Also,
25 utilities' influence and acquisition delivery and disposal

1 may be limited as third parties also play a role in these
2 stages. Utilities can influence the acquisition in the
3 building stages of contract negotiation through their
4 suppliers, however this influence is limited. For example,
5 mandatory requirements should be considered modestly of a
6 supplier security perimeter, a utility would contact the
7 equipment manufacturer and distributor to inform the
8 supplier the need for physical security. The concept of
9 enforced order is renegotiated to add additional items. To
10 inquire security monitoring, the supplier issues an annual
11 letter stating the compliance to the contract, and then the
12 utility would perform a periodic presentation of the
13 inspection. If this part of monitoring systems fails, then
14 utility files a self-reporting non-compliance and possibly
15 receives an enforcement action with supplier's management.
16 This is adding a great deal of corporate-initiated
17 administrative costs to service for the utility compliance
18 risk, transferring the managing risk to utility, and not
19 significantly improving the security posture of the
20 utility. Therefore, any requirements to require the
21 utilities environment organizational boundary, the
22 utility's ability to control the risk and the owner's
23 ability to comply may not be met. This is difficult in the
24 acquisitional stages and any improvements to reliability is
25 likely to be minimum, especially when you look at the

1 existing requirements of CIP Version 5.

2 In order to actually improve reliability,
3 mandatory requirement must be achievable. If a mandatory
4 requirement is aspirational, that is the required processes
5 may not ever be developed, then utility can be burdened
6 with documents with no improvement to reliability; we've
7 experienced this under the framework. CIP Version 5 which
8 introduced many new maturity requirements to the new
9 systems under the scope of these requirements, always
10 provides very strong supply chain control. For example,
11 CIP 10, cyber asset chain management, requires responsible
12 entities to conduct testing, vulnerability assessments
13 required to connecting their advantage systems to the
14 operational environments. And CIP requires sanitizing or
15 destroying the information. These and other requirements
16 contained within CIP Version 5 not only improve reliability
17 of the bulk electric system but create stronger entities so
18 they can incorporate cyber security requirements into their
19 procurement process. It appears to me how regulatory
20 procurement processes would improve reliability, the only
21 improvements already addressed by the CIP Version 5
22 requirement. Instead I only see challenges because of
23 regulations. For example, new requirements of existing
24 spare equipment and utilities and supply chain inventory.
25 Additionally, requirements may reduce the number of

1 suppliers. 800.161 recognizes and states: "An
2 organization to assist community creates greater levels of
3 transparency from suppliers must consider possible cost
4 implications of such requirements. Suppliers may elect not
5 to participate to avoid increased possibility of increased
6 risk to the intellectual property, limiting an
7 organization's supply to technology choices. The risk to
8 suppliers is in multiple instances in different sets of
9 requirements that may have to individually comply with
10 which may not be scalable."

11 In conclusion, instead of creating new mandatory
12 requirements, I strongly recommend that the Commission
13 allow time, time to experience for these activities is
14 needed to determine if there are any true reliability gaps
15 that requires any requirements. Thank you and I look
16 forward to further discussion.

17 MR. BARDEE: Thank you, Jonathan.

18 Next we have Nick Weber from the Western
19 Electricity Coordinating Counsel.

20 MR. WEBER: Thank you.

21 Good afternoon. My name is Nick Weber. I serve
22 as an auditor on the Western Electricity Coordinating
23 Council cyber security team. I appreciate the opportunity
24 to discuss supply chain concerns related to the bulk power
25 system.

1 The goal of my remarks is to provide an overview
2 of current increasing supply chain procurement initiatives,
3 as well as opportunities to build on that work.
4 Understanding the complex web of suppliers necessary to
5 create new components is critical to the reliability of
6 bulk power systems is no easy task. Nevertheless,
7 continued efforts to understand and reduce threat is a
8 necessary endeavor.

9 Procurement in supply chain security is not a
10 new concept; the U.S. Department of Defense has been
11 working on this for the past decade. Through my own short
12 tenure at the U.S. Department of Homeland Security I was a
13 part of no less than three separate inner-agency
14 initiatives to address supply chain security and
15 resilience. It is imperative that attributes of previous
16 work be recognized and incorporated within any future
17 standards or guidance in the agency.

18 I'd like to draw attention to four sec body of
19 the work, as well as an anecdotal example of supply chain
20 securities. This special publication 800.161 identifies
21 the following three types of information: Communication,
22 technologies, supply chain vulnerability. The systems or
23 components within the system development life cycle is
24 development and operational diamond directly impacting the
25 life cycle, and the logistics group of transport delivery

1 systems and components. This 800.161 provides guidance to
2 federal agencies identifying, assessing, and mitigating
3 information, communication, technologies, supply chain
4 risks, at all levels of the organization.

5 The scope of NIST 800.161 is germane to this
6 discussion because the target audience and devices revolve
7 around the federal ICT, not energy delivery systems.
8 Critical infrastructure owners and operators can reference
9 this in developing their own supply chain risk management
10 practices. The American National Standards Institute, or
11 ANSI, is partnered with Avid International developed as is
12 SCRM 1-2014 supply chain risk management compilation of
13 best practices. SCRM 1-2014 provides best practices from
14 understanding the supply chain entities through protection
15 and incident response to steady-state management and supply
16 chain incident response. ISO 2800-2007 provides voluntary
17 tests for the supply chain security. While the ISO
18 standards provide excellent steps in security supply chain,
19 they do not reflect the restraints of cost, nor the ability
20 to review the operating governing body nor the
21 consumer-enforced standards.

22 Balancing standards and requirements and costs
23 is not a new concept depending on reliability standards,
24 particularly the CIP standards, but it is a concern that
25 must be continually addressed. These costs will come both

1 in the form of increased overhead to meet the supply's
2 burden and increased prices for vendors who are unlikely to
3 allow external requirements to impact their margins. As an
4 auditor, I'm concerned with the ability to effectively
5 oversee and audit the supply chain security standards since
6 the target of the greatest impact is beyond my reach. This
7 is where understanding of best practices and existing
8 standards should be leveraged to identify where the
9 procuring entity can have the greatest impact on securing
10 their supply chain. Some of those areas might include
11 supply chain managing, public/private information sharing,
12 and procurement language. Effective supply chain mapping
13 information sharing between owners and operators and the
14 intelligence community can yield a significant increase in
15 the purchasing entity's awareness and ability to understand
16 risks brought on by specific risks in the supply chain.
17 The single best example as to this is collaboration during
18 my time at DHS. One of our class-led briefs an owner
19 operator and an analyst asked audience members to come see
20 him after his presentation on the system. It turned out a
21 number of those devices had been compromised during the
22 development phase.

23 The Edison Sector Control System Working Group,
24 or ESCSWG, had cyber procurement language for energy
25 delivery systems through a public/private partnership with

1 the U.S. Department of Energy and other government agencies
2 in April of 2015. This document provides a strong starting
3 place for any discussion in future standards. This
4 document provides ample procurement language for energy
5 leverage when drafting a request for proposal, given the
6 limited capability of FERC, NERC, and the regional
7 entities, to provide oversight of vendors and by extension
8 their supply chains. Any future reliability standards
9 should focus on the procurement of cyber actives critical
10 reliability bulk power system.

11 Understanding and mitigating supply chain risk
12 is a very complex and time-consuming process that will
13 require a high level of collaboration between bulk power
14 system entities, cyber assets, and other entities. I'd
15 like to thank the Commission and Commission staff for
16 providing me the opportunity to share my perspective and
17 look forward to meaningful dialogue as a member of this
18 panel.

19 MR. BARDEE: Thank you, Nick.

20 Next we have Dr. Art Conklin from the University
21 of Houston.

22 DR. CONKLIN: I need to open my remarks by first
23 thanking the Commission and staff for the invitation and
24 opportunity to present to you. But most importantly, the
25 views and opinions expressed here are my own and do not

1 necessarily represent the views or opinions of the
2 University of Houston or the State of Texas, because I am a
3 state government employee; so this is me, not them.

4 So who's me? I'm a hacker; I have two
5 doctorates, one in EE, one in business. I'm in my late
6 50s. I now teach students how to break things, how to
7 defend things, and I spend my evenings researching cyber
8 security and critical infrastructure. And on the basis as
9 I want to say as an engineer the power grid is an amazingly
10 reliable instrument; you can't beat it. It finally
11 surpassed even the phone companies on reliability on always
12 being up. It all has changed, though. I'm no longer
13 worried just about the laws of physics; I now have this
14 problem of individuals hacking into things. And this set
15 of risks we've been dealing with through a series of
16 regulation and all sorts of industries; you've heard
17 numerous comments on that.

18 NERC CIP is the path that we've used in the
19 electric industry and it's been through numerous revisions
20 to try to fix itself, to try to change, to try to keep up.
21 I see the supply chain addition is just yet another
22 opportunity to either go down the path of prescriptive
23 guidance -- which I think we heard from previous people
24 doesn't work -- or do we go down the slightly different
25 path? And when I look at the different path -- I'm going

1 to paraphrase off my remarks because I like his short and
2 sweet -- do we need regulation in this space? Yes, we do.
3 The reason I'm going to say yes, we need regulation is,
4 even though I'm anti-regulation personally, when you hear
5 people discuss the argument of compliance versus security
6 and yet both are in their inherent interest as a business to
7 continue to have both, if they're debating between them
8 then there has to be some upper hand that takes care of
9 this.

10 So what would it look like? In supply chain we
11 have to find something that (1) has to be mandatory or it
12 doesn't exist. (2) But it has to be flexible. What I
13 haven't heard anybody say yet, and I think is missing, is
14 it has to be outcome-based. What are you attempting to
15 achieve with your supply chain management? If you're
16 trying to manage whether a vendor has a new product or not,
17 then you have what we call the Juniper problem. Juniper
18 Networks just recently had a very high-profile oops, bad
19 code, in their code. They didn't put it in there, somebody
20 else did. Who did that? It's not relevant to the
21 discussion. But what is relevant is did Juniper fix it?
22 Yes, they acted responsibly as a supplier. However, did
23 the people who buy this material responsibly take their
24 patch? If we made supply chain regulations, including like
25 our current NERC CIP -- and there are some CIP regulations

1 right now that even if you wanted to apply the Juniper
2 patch, you can't -- you will have to wait until it goes
3 through this testing and all these other things and gets
4 approved or an auditor comes in and say, "Yeah, you really
5 needed to do that because that was really bad, it's not in
6 the rules."

7 So we have to build something that's
8 outcome-based on the outcome we wish to achieve. And it's
9 not just I have to have an objective, "Oh, we have to have
10 regulation", but what are we trying to achieve with the
11 supply chain regulation? The risk in cyber can be direct,
12 directly through our cyber system, or indirect through our
13 supply the chain. Either one, we can't diversify that
14 risk. And so here I want to say hats off to the person
15 earlier from NIST; they did it. Even if the Department of
16 Defense were to make all their systems through NIST's
17 system, based on the NIST standards. They may tweak them
18 right and left in their individual circumstances, but
19 that's what they're built upon. Because at the end of the
20 day it's built around trust. Does the Department of
21 Defense trust their commanders to put the best systems on
22 the field? Not really, they use regulations. Do we as a
23 nation trust companies to do things? No, we have elected
24 governments and we want them to regulate things. So there
25 is a need for rules and regulations to resolve this.

1 The question becomes: What do you want to
2 regulate? When you're trying to define for a firm to do
3 what you think they should do, you have to define what it
4 is you think they should do. And when you get into the
5 specifics of a password should/must be so long, a supply
6 chain must have 14 forms, things like that, then how do you
7 respond to the following problem? "Oh, yeah, that didn't
8 work. We're compliant, I'm here, we're compliant." "We're
9 compliant" can't be a defense. In a supply chain, if I buy
10 a piece of software and it doesn't work out with me, I have
11 to have a backup plan, I have to have an alternative, that
12 has to be part of, as Marcus put earlier, the business
13 process, I have to have a business process and focus that
14 will have that, that is auditable, that is checkable, if
15 you go through all of the regulations the first speaker
16 talked about they're detailed through all of those, these
17 sorts of things.

18 So, I want to close by saying, yes, we need the
19 regulations. We don't need something brand-new, we need to
20 adopt what we know is working elsewhere, and we need to
21 stay away from prescriptive, make it flexible, we have
22 people go over the results. And "I am compliant" is not a
23 defense. I look forward to questions and any meaningful
24 opportunity to discuss with anyone. Thank you.

25 MR. BARDEE: Thank you, Doctor.

1 Our next speaker is Edna Conway from Cisco.

2 MS. CONWAY: Thank you. I'm just really honored
3 to be here today, and on a personal level I have to say I'm
4 pretty humbled to be in the experience and expertise that
5 sits in this room today. So thank you for the privilege.

6 I serve as Cisco's chief security officer for
7 its global value chain. Let me tell you what that really
8 means: It means that we are embracing the higher
9 third-party ecosystem that touches in any way our products
10 and solutions. And that could be a service; it could be a
11 component; it could be hardware; it could be software. So
12 it is a very broad spectrum and I certainly have a deep
13 appreciation for the complexity of a large-scale,
14 international value chain. That's the background. And
15 what I really wanted to talk to you a little bit about is a
16 couple of things that were in my written statement. But
17 first let me note that I'm tickled to be sitting next to
18 Dr. Conklin because I am hoping that all of his students
19 actually go work for my suppliers as white hats and if they
20 go and work as black hats I will be standing there to fight
21 them off.

22 We're really acutely aware of the convergence of
23 OT and IT, and I think there's an important point. We've
24 heard a lot about "do something that is similar to what
25 others are doing." That convergence and the ramifications

1 of what I certainly worry about at Cisco, which is
2 counterfeit, taint, misuse of intellectual property, and
3 information security across that third-party ecosystem, is
4 not necessarily a threat or a risk that is unique to the
5 electric industry. I think you're heard today that it is
6 actually quite common across, certainly for us, all of our
7 customers that are governmental or not. The challenge I
8 think we will have -- and we've certainly heard, I heard
9 Mr. Sachs say, a great point, right, which is do something
10 that makes sense for the industry but align it with
11 others -- quite frankly, as a multinational, there are
12 geopolitical events and positions that render it impossible
13 for the entire world to come together. It would be lovely
14 if it could; international standards are most important in
15 that area. We've also dealt with the reality of a
16 dispersion, a proliferation, of regulations and standards
17 in the United State Government. So if you can get the
18 Department of Energy to talk to the various groups inside
19 of the DOD and talk to others inside of the U.S.
20 Government, that would serve us very well and lead by
21 example there.

22 First, what I want to say is what we really need
23 do is understand the goal; I echo Dr. Conklin's point. And
24 for us the goal is one that is interesting, and I know Mr.
25 Boyens is here from NIST. And he and I have debated for

1 many years the chicken-and-egg problem of: Is security
2 part of resilience or is resilience part of security? This
3 is a unique approach, I think it's the right approach.
4 Security is the senior most level and we believe it
5 includes resiliency, data protection, trustworthiness, and
6 privacy. So with that said, I think the next step for FERC
7 should really be clearly articulating the threats to the
8 goal of comprehensive security in light of that
9 definitional parameters. This should include
10 often-overlapping prevention, detection, and mitigation
11 efforts. There's a reason for them to overlap, checks and
12 balances make sense, our government is built on it.

13 At the core of that I think we need to say the
14 perspective that we bring to the table at Cisco. The lens
15 to which we see supply chain security risks really allows
16 for two different distinct foci. The first is a focus on
17 information and communication technologies in cyber risk.
18 The second is a focus on addressing the full end-to-end
19 spectrum of that value chain and looking at it with the
20 lens of security technology, physical security
21 requirements, and operational security deployed throughout
22 logical processes. Without that, you don't have a
23 comprehensive view. We believe FERC would do well to
24 continue as it has, to go over those factors and areas of
25 every effort of articulated that focus broadly in mind as

1 it addresses this challenge that we're here to talk about
2 today.

3 We also believe that the expansion of the NERC
4 CIP to include a new standard on supply chain risk
5 management is not the ultimate path. In fact, imposing a
6 new standard on an industry standard or other entities that
7 provide products or services to registered entities, you
8 can't have both, we sell to them. If you impact them with
9 a standard, no matter how flexible, and not a guideline, it
10 will be imposed on us. And we have ample years of evidence
11 of how improperly flow-down clauses work. Procurement is
12 important. Contracts do not create security in resiliency;
13 they shift legal threat. That's why after 22 years as a
14 lawyer I'm actually in business now; I didn't want to shift
15 risk, I wanted to address security.

16 Let me highlight a couple of foundational
17 elements I think the guidelines ought to approach.
18 Approach taking control of retaining the particular member
19 of the supply chain's flexibility to deploy the right
20 security in the right node of that chain in the right time
21 and manner. Deploying the right security in the right node
22 at the right time, as you've heard here from many of us,
23 needs to be undertaken in a risk-based manner. No
24 enterprise, commercial, or government fully eliminate
25 supply chain risk, that is a reality, if they intend to

1 remain economically viable and feasible. Embracing that
2 reality will make success no longer achievable. Avoiding
3 the pitfall of proliferation of new, albeit well-intended
4 standard, or accreditation or guidelines is absolutely
5 essential. Rather, a swift or, perhaps one might argue,
6 more integrated choice would leverage the standards already
7 in place, those include so many that have been articulated
8 by my brethren. I will add one more, which would truly
9 mean that the DOD uses to ensure that its ICT equipment
10 that the wolf rider is using, which leads to ramification
11 and death, is tested, and that is the ISO standard that --
12 the number is actually 1548, we call it Conroy material --
13 deep dives on security.

14 Bulk providers and distributors on this special
15 set of procurement guidelines that are addressing the
16 unique nature of their industry concern all of us as well,
17 confidentially weighing the existence and robustness of a
18 supplier's supply chain programs and procurement decisions
19 absolutely essential, it can move the need up a lot faster
20 than delayed contract negotiations and prescriptive
21 standards. And in fact, it can encourage the individual
22 elimination that each of the members of the supply chain
23 bring to the table, which is actually why we included them
24 in our supply chain to begin with.

25 I've also offered in my written statements and

1 it also appears in a NIST case study that we were
2 privileged to be part of and highlighted on the NIST
3 website the key domains for what I think might be more
4 flexible architecture guideline. The most really include
5 the identifying core domains within the architecture and it
6 needs to embrace the physical, the operational, and the
7 logical in addition to the cyber. And I've listed 11
8 domains in my written materials; I won't belabor the point
9 by reading them out loud. But articulating around those 11
10 domains might allow NERC and FERC to come together and
11 think: What do we have today? What have we heard? Can we
12 leverage an architecture with really flexible methods of
13 verifying the supply chain members' deployment of those
14 kinds of guidelines and then use the same industry taxonomy
15 of architecture and procurement-based validation methods,
16 and that should take us to a place where no longer are we
17 talking about just compliance or contract-shifting risk,
18 but moving the needle together.

19 I'll leave you with this request: It would be
20 Cisco's and my personal privilege to participate in any
21 task force. We come at this because we understand we
22 cannot do it alone, we must do it together, and we're
23 committing to doing that. Thank you for the privilege.

24 MR. BARDEE: Thank you. And I would just note
25 as someone, who myself practiced law for about 20-something

1 years, when faced with issues like this I wonder if I made
2 such a wise choice in moving to this job.

3 But let's go to our next speaker, who is Bryan
4 Owen from OSIsoft.

5 MR. OWEN: Good afternoon. Certainty of energy
6 deliveries ties prosperity in practically every walk.
7 Addressing threats to reliable energy delivery is
8 well-deserving of a collective approach, and the Commission
9 is to be applauded for respecting these accomplishments.
10 I'm happy to be here today with me esteemed colleagues to
11 discuss the matters important to managing supply chain
12 risk.

13 So who I am? The principal cyber and security
14 manager at OSIsoft. We're family-owned and -operated
15 software company headquartered in Santa Ana, California.
16 From to supply the chain perspective, we offer our products
17 and rely on commercially off-the-shelf solutions in
18 technology infrastructure. OSIsoft is also a global
19 supplier, we have offices around the world. We are a
20 presidential E award recipient for exports by the U.S.
21 Department of Commerce.

22 Personally, my plan as a professional engineer
23 is to apply my knowledge and skills to the betterment of
24 human welfare above all other considerations. The remarks
25 I express today are based on over 10 years of active

1 engagement in the industrial cyber security community, 15
2 years' experience with industrial control systems, and 20
3 years at OSIsoft serving our customers, many of which are
4 responsible for reliable delivery of electricity in North
5 America, and many others operating in major electrical
6 loads. I appreciate this opportunity to contribute
7 observations and views on management of supply chain risk,
8 especially for software.

9 So the scope of standards to manage ICS supply
10 chain risks, I believe the supply chain as many have said
11 is very complex, globally distributed, and interconnected.
12 Utilization is pervasive with hardware, software, computing
13 and network services provided throughout the national
14 infrastructure and in private enterprises. There are
15 direct and indirect obligations imposed on suppliers and
16 vendors that have significant potential for unintended
17 consequence and market disruption. In that, ICT technology
18 and ICS systems are so deeply entrenched in the bulk
19 electric systems, inclusive of upstream suppliers,
20 downstream loads, and may be necessary to approach the
21 standard as a shared responsibility load. For example,
22 fit-for-use in context of industrial safety hazards has
23 been addressed using the shared responsibility. Standards
24 are defined for safety and integrity levels and suppliers
25 develop products for the most relevant use of these

1 products. Standards bodies are currently working to define
2 security assurance levels that can be used to develop new
3 products for ICS components with fit-for-use customers.
4 Until such time ICS components build in security
5 reliability, fit for use with high impact bulk electric
6 system cyber systems, the scope of a newer modified CIP
7 standard manage supply chain risk should be kept at a
8 minimum and voluntary. Imposing mandatory supply chain
9 risk management beyond the most essential controls where a
10 foundation or legacy of ICS factors would likely exist only
11 as a security theory. It should remain a high priority to
12 enable rather than impose ICS, IT resources in the delivery
13 of fit-for-use solutions.

14 Computing and network services further highlight
15 the necessity approaching standards in the supply chain
16 security as a shared responsibility. Existing CIP
17 standards are unable to keep pace with direct innovation
18 and computing and network services that is occurring
19 compliance-audit approaches are not technically feasible
20 for providers of moderate computing services. Thus,
21 compliance implementation is a regressive force with
22 respect to best-available technology through reliability
23 and security. For instance, I frequently observe entities
24 struggling to manage hundreds, and even thousands, of
25 point-point VPN connection with external entities.

1 Whereas, computing a network provider's offered
2 alternatives with innovative reliability and security
3 features, such solutions are often dismissed out of hand
4 due to compliance risk. A shared responsibility model for
5 supply chain security should be developed, the scope of a
6 new CIP reliability standard should be voluntary and
7 minimal at this time. Development of fit-for-use
8 specifications are proposed and is the basis for shared
9 responsibility model addressing supply chain risk.

10 So what can we do? What's essential for
11 standards to manage ICS supply chain managements?
12 Essential should focus on the identity of software
13 publishers and the associated response procedures. As a
14 credit to the current CIP 004 reliability standards
15 addressing personnel and training, in my experience these
16 requirements already permeated throughout the ICS supply
17 chain. Modifications of this standard would likely be
18 disruptive and a diminishing risk reduction. However,
19 identity of software publishers is a different story. The
20 capability to identify software publishers represents a
21 potential demarcation responsibility to defend important
22 threads within the supply chain. Digital signatures offer
23 a technical method that identify software publishers, as
24 well as providing code authentication. Digital signatures
25 could be a keystone for enabling ITS supply chain security

1 control through software, especially where control
2 enforcement is already built into the underlying one-time
3 platforms. The NIST 800.161 standard includes relating
4 guidance and should ensure that code authentication
5 mechanisms such as digital signatures are implemented to
6 ensure software, firmware, and information of ITC supply
7 chain infrastructure and information systems. And consider
8 verifying integrity of software programs using, for
9 example, cryptographic check, digital signatures, or hash
10 code. Co-signing with digital signatures is widely
11 accepted as good practice in the software profession.
12 There are few implementation barriers related to code
13 signing, although exceptions exist with scale and with
14 technologies such as job security. Alternate mechanisms
15 such as NIST national software reference library could be
16 applied to identify ICS software and potentially its
17 publisher. Commercial security services using binary
18 techniques are also emerging fingerprint software enumerate
19 to third-party libraries and the associated known
20 vulnerabilities. At such time it is well advised for any
21 newly-modified CIP standard to use the advancements of
22 mechanisms used to identify ICS software publishers.
23 Identity of the publishers within the ICS supply chain is
24 important to incident response. Good practice like this
25 are not necessarily notified about security issues

1 discovered in their software. This communication is
2 bidirectional. Security issues tend to be silently fixed
3 by the suppliers and vendors without disclosure to entities
4 or industry coordination teams. Newer modified standards
5 could improve communication and collaboration to related
6 ancillary responses as needed. Under CIP 008-5 there is
7 little, if any, incentive for reporting data to revise the
8 implementation and violation threshold to award an offset
9 credit to reporting incidents. Reports include such as
10 discovery of vulnerability can generate a dramatic uptick
11 of communication for security issues across the supply
12 chain. Alternately a new modified CIP standard for
13 improvement related to communication across the supply
14 chain could be modeled after the voluntary aviation data
15 reporting system.

16 In closing, changes in the threat environment
17 signal the need for increased vigilance and due diligence
18 throughout the ICT and FCA supply chains. The supply chain
19 complexity merits the shared responsibility model based on
20 standards developed as fit-for-use products and services.
21 High-impact bulk electric systems should be the initial
22 focus for fit-for-use standards. As an urgent priority,
23 responsible entities need newer mechanisms to ensure the
24 best systems operate the ITS software from their approved
25 publishers. Incentives for reporting supply chain issues

1 should be addressed and newer modified CIP reliability
2 standards as a catalyst for better communication and
3 instant response capability. And finally the voluntary CIP
4 standards for managing the supply chains should exclusively
5 advance that available technology. Let's not let
6 compliance get in the way of innovation.

7 Thank you for your time. I look forward to
8 discussion.

9 MR. BARDEE: Thank you, Bryan.

10 Our next speaker is Alberto Ruocco from American
11 Electric Power.

12 MR. RUOCCO: Good afternoon, members of the
13 Committee. My name is Alberto Ruocco and I am the vice
14 president and Chief Information Officer at American
15 Electric Power. I am also the cochair of the EEICO Group
16 and the AP Group. Just on a more formal basis, have in my
17 previous lives spent quite a bit of time in manufacturing
18 environments, understanding their supply chains, and my
19 current responsibilities have cyber security team and the
20 IT NERC compliance team at AP.

21 I really appreciate the opportunity to
22 contribute to the discussion here. I will say that, given
23 where I come in the sequence here, I'm going to modify my
24 comments a little bit and not be too repetitive hopefully.
25 I modified my written comments a little bit. For those of

1 you that don't know AP, we are one of the largest electric
2 utilities in the United States. We generate -- well, first
3 we support 5.3 million customers in 11 states. We are one
4 of the largest generators of bulk electricity. We
5 currently have 32,000 megawatts of capacity. We also own
6 the largest transmission network with 40,000 miles of
7 transmission and 220,000 miles of distribution wires. So
8 one thing I would like to say is that, unlike some other
9 participants in the panel, those of us that live in the
10 utility world have to deal with this dual existence of
11 living in a regulated environment and producing profits for
12 our shareholders. So I will tell you that certainly
13 provides a context for me that's important for you to
14 understand.

15 So I think it's very important to state
16 simply -- and I think it's been stated maybe a number of
17 times in different ways -- nobody in this room or elsewhere
18 can guarantee a risk-free supply chain period. No matter
19 what we do, that will never happen in my opinion. So we
20 certainly recognize the significant risk in our and
21 everyone else's supply chain, and certainly with all the
22 cyber security-related assets in our system. However, we
23 recommend against a mandatory reliability standard for
24 three reasons, and some of these have been touched upon
25 before: First of all, FERC jurisdictional limitations I

1 think are our concern, I think Marc Sachs highlighted this
2 well. And the fact that FERC really can't reach into the
3 supplier network is a challenge. And it's unlikely, as
4 some of the suppliers are represented here, that those
5 suppliers are willing to share some of the information that
6 we, as buyers, might be interested in or you, as a
7 regulator, might be interested in for competitive reasons.
8 I also believe, as many have stated, that the fact that
9 today's world global supply the chain makes it
10 fundamentally impractical to manage a standard with a grid
11 network that has thousands and thousands of assets, each
12 has a dynamic thing, multiple supply chains, and each is
13 subject to ongoing potential design in the implementation
14 changes. And third, we do believe, as many others have
15 stated, that NERC CIP Version 5 provide adequate
16 enforcements and management control for the bulk electric
17 system; and I think Helen Nalley at Southern outlined that
18 very well. So for these three reasons AP supports the
19 voluntary development of guidelines through industry groups
20 rather than a FERC-mandated reliability standard.

21 I'd just like to mention that if all of these
22 previously-mentioned guidelines, principles, and best
23 practices fail to identify malware -- so something gets
24 through, all the way through the supply chain -- NERC CIP
25 requirement 7, and in general cyber security best

1 practices, recommend the building of defenses and layers,
2 or as was mentioned defense in depth. The current
3 technology allows for continuous monitoring of all inbound
4 and outbound and intracompany information communication.
5 And if you have these tools in place, you will find and see
6 anonymous communication. And those defenses in depth will
7 protect. That's one way to think about it through the NERC
8 CIP standard the effect that we have a backstop if you miss
9 something in the supply chain.

10 I won't go over all the details of AP's cyber
11 security programs and supply chain risk management program.
12 Suffice it to say that the gentleman from BitSight did a
13 good job outlining mature practices, and we follow those
14 practices, and we continue to look for ways to improve; and
15 frankly this entire experience has given me a number of
16 ideas on how we can improve. I do think a particularly key
17 point to make is that ultimately suppliers that prove to be
18 the most reliable and secure are those that will emerge
19 through competitive market forces. And these are the
20 suppliers that will be available to electric utilities and
21 other industries as well. So by way of example, just to
22 extend on that point, as more companies and all industry
23 adopt these supply chain risk managements programs, then
24 more suppliers subjected to the scrutiny dictated by these
25 assessment tools. Industry best practices will evolve and

1 will improve, and we at AP and others will benefit from
2 continuous cyber security risk production. So
3 fundamentally the market forces are going to continue to
4 drive improvement in our vendor community, supplier
5 community.

6 With that all said, AP will continue to
7 collaborate voluntarily with other electric utilities, EEI,
8 manufacturers, to determine best practices for enterprise
9 supply chain risk management. Voluntary collaboration to
10 define a uniform practice in the global industry and the
11 suppliers will improve cyber security at a lower overall
12 cost to customers than through a new incremental mandated
13 risk management reliability standard. One example, for
14 instance, is the Effery (phonetic) Organization. And
15 perhaps we can, for example, leverage the Effery
16 Organization to help test commonly-used assets and
17 products. The shared lab resource will eliminate the need
18 for each company to perform these testings and ultimately
19 companies would more efficiently meet their cyber security
20 risk management. So given the complexities of any one
21 vendor supply chain -- and remember there are thousands for
22 each of us -- and unique characteristics of each utility, I
23 believe a reliability standard is likely to create
24 inefficient and costly programs than they actually
25 unnecessarily constrain a utility's supply chain cyber

1 security risk management program. In the end, each utility
2 supplier base is different, so each utility would need
3 flexibility to manage their supply chain risk in the manner
4 best suited to their scale, scope, complexity, resources,
5 and risk profile.

6 So I thank you again very much for the
7 opportunity to speak and look forward to the questions.

8 MR. BARDEE: Thank you, Alberto.

9 And our final speaker on this panel is Doug
10 Thomas from the Independent System Electric Operator.

11 MR. THOMAS: Good afternoon. First of all, I'd
12 like to thank the Commission for allowing me to sit and
13 discuss the issue of supply chain risk management. As
14 previously mentioned, my name is Doug Thomas, I'm the VP
15 for information technology and CI O for Independent System
16 Electric Operator. So the views today are those of the
17 ISO, they do not necessarily represent the positions of the
18 association, nor the ISO RTO council, both of which the ISO
19 is a member. So I think it is safe to say that regardless
20 of our views, and our views on this issue are diverse, I
21 think we would all agree that the Commission is faced with
22 an important, complex, and difficult issue.

23 Determining the appropriate applicability scope
24 for any standard of this nature is paramount and should be
25 discussed with enforceability. Therefore any new standard

1 or requirement must apply to the same assets as those
2 identified through the current CIP standards. Any new
3 standard or requirement must focus on the same aspects of
4 hardware and software, as well as people and services,
5 irrespective of whether the best cyber asset is network,
6 infrastructure, or solution-based. Furthermore and
7 importantly, any standard should include services in the
8 same manner as physical assets. In addition, any new
9 standard should consider three interdependent but very
10 interconnected categories of processes: Specifically
11 procurement; design, build; and finally contract
12 management.

13 So the question is why these three categories of
14 processes? With respect to procurement, standards can
15 ensure that the security needs of the asset owner are clear
16 through vendor or vendors. With respect to design, build,
17 implement, standards could require vendors to design
18 products incorporating security from a variety of
19 perspective. This would be done through the procurement
20 process afforded by the contract management process. With
21 respect to contract management, strong and robust contract
22 management processes are key to supply chain risk
23 management and they are the only means available and will
24 need to address, not only the original purchase and
25 delivery, but all aspects of ongoing maintenance. Finally,

1 standards should address the needs of periodic review
2 contract performance, including compliance with contract
3 requirements as they relate to security.

4 Probably the most difficult challenge is to
5 understand or measure how effective security controls are
6 within a vendor environment. This is where we need to look
7 to the experience of other industries, such as the
8 financial sector where they have spent many years
9 developing and fine-tuning Sarbanes Oxley control which
10 leveraged SSAE 16 audits or in Canada the equivalent SSAE
11 36.16 type lines. Controls will need to be risk-based and
12 consistent with existing CIP standards, follow the
13 traditional security model of confidentiality, integrity
14 and availability. I recognize the development of a
15 standard of this nature is complex and will require
16 extensive stakeholders with many diverging entities.
17 Although past experience indicates this process could take
18 three to four years, I suggest that every effort be made to
19 have the standards in place and enforceable within two
20 years of the FERC order.

21 Finally, I would like to our Canadian, and
22 particularly Ontario, aspect for consideration by the
23 Commission. It is important to understand the national and
24 provincial jurisdictions with respect to bulk electricity
25 in Canada. Significantly, most of the relevant regulatory

1 framework is provincially based. As a result, the NERC
2 reliability standards are applied differently in each of
3 the provinces that have established agreements with NERC.
4 Within Ontario, the ISO administers and enforces the
5 reliability standard via the Market Assessment and
6 Compliance Division of the ISO, which is a ring-fenced
7 organization within the ISO. MACD manages compliance in
8 Ontario in cooperation with NPCC. In Ontario there is no
9 body that formally approves NERC standards; rather by
10 default NERC reliability standards become enforceable in
11 Ontario, coincidental with FERC approval. However, there
12 is a provision for an Ontario entity to appeal to the
13 Ontario Energy Board for a review of the standard, and the
14 Ontario Energy Board has the authority to stop the standard
15 from applying in the FERC doc to the standards of
16 authority.

17 On the issue of Canadian contract law, contract
18 law and tort law is similar in nature to the U.S. with a
19 possible exception to jurisdiction. As in Canada the
20 contract will specify a single jurisdiction for resolution
21 of the legal issue. Other legal considerations that should
22 be considered are copyright law, trademarks, competition,
23 et cetera. Canadian case law in this area is still
24 evolving and is not likely to present any barriers to
25 supply chain standards but should be considered toward

1 standard development. At present, there are no specific
2 Canadian regulations or standards that pertain directly to
3 supply chain cyber security issues, and I am not aware of
4 any movement in that regard.

5 I would make one final comment with respect to
6 jurisdiction as a result of previous discussions. It is
7 important to remember that NERC is the only regulatory body
8 with jurisdiction in Canada, and the only organization that
9 Canadian entities can provide formal input into during any
10 additional drafting or amendments to standards or
11 requirements. In closing, I would like to reiterate that
12 the ISO supports and encourages the Commission with
13 proceeding with the development and implementation of
14 standards to address the risks associated with supply chain
15 management.

16 Thank you very much. That concludes my prepared
17 remarks.

18 MR. BARDEE: Thank you, Doug. And thanks to all
19 of our speakers for their opening remarks; they've been
20 very informative.

21 Let me turn to others at the table and see if
22 there are questions from other people before I get to
23 anything.

24 MR. PHILLIPS: Mr. Conklin, in preparing for the
25 technical conference I reviewed a NERC industry advisory on

1 preventable investigative category 2B events and found
2 three common themes: EMS software failures; adequate
3 classing; and then problems with chain management. In your
4 view do the current reliability standards require adequate
5 testing levels for EMS equipment prior to deployment?

6 DR. CONKLIN: The answer to the question you
7 ask, which was "in my view do they?" they can depending on
8 how it's implemented. And at the end of the day it all
9 becomes part of implementation, but I don't think the
10 testing is going to alleviate what you cited as the problem
11 either. Because a lot of the vulnerabilities and problems
12 that will crop up in software and other things like this,
13 they're not going to show up -- the ones we really worry
14 about today, they're not going to show up until they decide
15 to show up. And when they do, it's too late. So to answer
16 that question: Do I think that the system as it's put in
17 place today, if implemented correctly, could catch
18 vulnerabilities? Some, yes; all, no. The critical ones
19 probably not at all.

20 MR. PHILLIPS: Thank you.

21 MR. BARDEE: Anybody have anything?

22 MR. PHILLIPS: Actually, in thinking about this
23 I kind of have separated the two into third-party risk and
24 more supply chain risk, and I think sort of the proposal
25 generally in the NERC order would address both. On the

1 issue of third-party risk, I had a few questions about just
2 remote access and third party and how the current CIP
3 controls address third-party remote access.

4 So, Mr. Kuberski, based on your understanding of
5 how the controls apply, do you feel that this distinguishes
6 between remote access from an entity perspective or a
7 third-party perspective that are additional controls that a
8 responsible entity must apply to a vendor third party? And
9 then also do the standards permit vendors to maintain
10 persistent connections?

11 MR. KUBERSKI: I think the standards do address
12 third-party remote access; I don't see any eventual change
13 events today. I will say this is one of my own beliefs:
14 Your control system should not be connected to the
15 Internet, and if they are connected to the Internet you
16 really need to evaluate how that infrastructures are
17 protected. So there's many layers of security in there to
18 prevent anybody from accessing into the control systems.
19 So to answer your question in short, yes, I do think the
20 controls are there in place with the existing IT.

21 MR. PHILLIPS: Mr. Appelbaum?

22 MR. APPELBAUM: So, the third-party remote
23 access tends to comply to remote access is what applies.
24 It's clear you need to have a jump host to intermediate the
25 system if that remote access does not occur from like PSP

1 that you control. So it's very clear. Now, when that
2 person, if they're going to have control of the cyber
3 system itself, then you need to have CIP 4 training, you
4 need to be CIP 4 PRA. So it's there, remote access is
5 already covered within the standard.

6 MR. PHILLIPS: Is there any sort of mandatory
7 monitoring or control that you have over the vendor's
8 access or have to do under the CIP standards?

9 MR. APPELBAUM: So, it's a trust environment.
10 If they're remoting in, you already don't trust them, which
11 means you're going to monitor their activities. If they
12 have the ability to control and operate the system, now
13 you're talking to them so you don't really need to monitor
14 them. Both vendors and third-party entities cannot be
15 trusted. At UIC we don't trust anybody for obvious
16 reasons. So that's the answer.

17 DR. CONKLIN: I'd like to just bring up for
18 remote access, un-trusted users is one thing. The same
19 remote access allowed un-trusted users into Target. And
20 the same remote access allows un-trusted users into our
21 grid. And understand that CIP only applies to certain
22 parts of our grid. But everything is eventually connected
23 to everything. That's how malware gets to where malware
24 wants to get. So I think it's very important to
25 differentiate that we're not eliminating the risk just

1 because we agree that, "Hey, we're going to let X, Y, Z
2 firm be a partner.

3 MR APPELBAUM: I just want to plug in, cyber
4 asset controls that were just approved, they were there
5 specifically for that. And I agree that that is a
6 significant impact. USB sticks, vendor laptops being used
7 to connect to our systems and do maintenance activity, CIP
8 Version 5 can control those. They are there specifically
9 to do that, you have to scan the laptop and verify the
10 attack systems, verify malware engines. So, again, when we
11 talk about supply chain and how CIP Version 5 works, a lot
12 of things that go into that broad umbrella of supply chain
13 risk, CIP Version 5 addresses a lot. And that's why we
14 need to see how it's going to work out. I really think it
15 does a very good job for what's within the organizational
16 boundaries and not trusting anyone outside.

17 MR. OWEN: Just a supplier perspective: When
18 all the same things that my colleagues talked about in
19 terms of background checks and being sure that the CIP
20 standards were being monitored, on our side of the link all
21 came to me as well, all those sessions, all those recording
22 sessions. I just wanted to emphasize that there are many
23 indirect flow-through from these revelations.

24 MR. RUOCCO: Just to touch on the subject: Any
25 of these I'll say attack of services are valid and worth

1 protecting. The one that I think is most critical and
2 nefarious, I would say, is the hidden malware that's
3 sitting built into the firmware, and I drop that piece of
4 equipment into my network and I don't know about it. So
5 I'm probably more concerned about that scenario than I am
6 -- not that I'm not protecting against the other one, I'm
7 just saying I'm more worried about the other one because
8 it's just harder to identify.

9 MR. PHILLIPS: Ms. Conway, I think a lot of
10 people have mentioned just sort of the potential impact
11 having regulations come into one segment of the industry
12 might have, and that might dissuade suppliers from wanting
13 to participate. I guess my question to you is: Is the
14 electric industry in the United States and Canada big in
15 the matter if there were to be regulations?

16 MS. CONWAY: That's a great question. I would
17 love to tell you that all of our customers matter.

18 (Laughter).

19 I think what we try to do, to be honest with
20 you, I'm not sure that three years ago you would have found
21 anyone with the CSO and supply chain, I think I was the
22 first. Then we decided to put the supply chain and make a
23 value chain and make it even bigger. And I think my answer
24 to you is: If you understand the problem, you are going to
25 be motivated to engage in your own enterprise risk

1 management for a variety of reasons. And that enterprise
2 risk management plan has to address your supply chain
3 third-party ecosystem. So the test really is not: Are you
4 big enough? The question is: Are you a provider of a
5 service or a product who is sufficiently cognizant of the
6 world in which we live, that you are alert to the problems
7 and what do we do about it? And if you're not alert to the
8 problems then I'm not going to buy from you and I suggest
9 that no one else should either.

10 MR. RUOCCO: I'll just add some color commentary
11 because I deal with this, on not a daily, but certainly
12 weekly, when it comes to procurement of equipment for IT
13 and OT. The fact of the matter is, maybe notwithstanding
14 the folks that are here in this room, but there are many,
15 many suppliers that are fairly large that are still
16 challenged to meet the standards and best practices that
17 have been communicated. So that's the reality. But my
18 point in my prepared comments is that I believe the market
19 will drive them to compliance and in fact at some point
20 probably exceed the practices of most entities on their
21 own, if that makes sense.

22 MS. CONWAY: Can I just jump in for a minute?
23 Because I absolutely agree with that. Let me just make
24 something clear: I'm not saying you have to do everything
25 with everybody; it has to be a risk-based approach. If I'm

1 looking at an ASIC supplier, to go back to your firmware
2 issue. So you better understand the differentiation. Even
3 the nature of the software, although the vast majority are
4 problems are within the life cycle. So it's very
5 interesting.

6 One thing I would guess, Mr. Phillips, is you
7 confused me a bit, and I'm easily confused some days. But
8 when you said the difference between supply chain and third
9 party, from my perspective if you're in the supply chain
10 you're automatically a third party. So there's my
11 enterprise environment and everything else is a supply
12 chain. There could be a supply chain that is my enterprise
13 supply chain, so it's my own environment. And then there's
14 the value chain. Are you thinking about it the same way,
15 sir?

16 MR. PHILLIPS: Sure. I was just basically
17 trying to distinguish, I think a lot of people are talking
18 specifically about software and I wanted to make sure that
19 we are also considering the third-party vendors they have
20 access or performing the function for you that maybe don't
21 necessarily build a product that is installed on the bulk
22 electric system.

23 I have one more question, and I swear I'll be
24 quiet. So during the development of the NOPR and the
25 comments we received we had a few different suggestions,

1 some ranging the gambit from we could do a whole set of
2 standards on this issue versus a few commenters said there
3 are some things that we can do to sort of nibble around the
4 edges of -- we can address things like watering-hole
5 attacks, preventing or documenting practices. So I was
6 just wondering: Is there some set of small things -- and I
7 can put this out to the whole panel -- that we could do to
8 the CIP standards to start to close some of this gap and
9 bite down on the risk instead of a major initiative? Are
10 there some smaller things we could do and look at and what
11 would be providing that value for you in your opinion?

12 MR. APPELBAUM: As far as standards, I think in
13 order what would I want to see if I was on the standard
14 think tank team? And one thing that would concern me is
15 that we would make a direct incentive that address supply
16 chain. Because the thing is you need to know what risk and
17 threat you're trying to address in the supply chain.
18 "Supply chain" is just such a big term. Just as you said,
19 third-party versus supply chain. It means so much. So we
20 on the drafting team, we would want to know exactly what it
21 is we are trying to address in that supply chain. And in
22 my comments I talk about the seven stages of supply trying
23 to point out there are stages we can't address. So I would
24 hope you would say let's not go there, or if you want us to
25 go there you'd be specific on it on what you want us to try

1 to write a requirement for.

2 I still think if you come out with "let's just
3 nibble around the edges", my answer would be let's see what
4 CIP version 5 does. What does it all address? There's a
5 lot if you go down the list, boy, this is what has me
6 concerned. I could come back and say this or this supply
7 chain do not need a change, they're okay. There might be
8 something that you're seeing that we could -- I think the
9 Commissioner said something about common sense, making
10 rules that make common sense into regulation. There might
11 be something that could be done there. And you see the
12 risk, the high-impact systems, again, trying to take that
13 risk approach this already occurs.

14 MR. RUOCCO: So I just want to second the vote
15 for this play-out NERC CIP Version 5. This standard has
16 definitely been raised in particularly what I refer to as
17 the OT world. We're in the midst of deploying these
18 technologies. And I can see the impact that they have and
19 will continue to have. So I think it's a good idea to play
20 out CIP V 5 and see if there's a gap after that. Thanks.

21 DR. CONKLIN: Not to the contrary of the point
22 of view already spoken. If you want to protect against
23 watering-hole attacks, then -- you mentioned watering-hole
24 attacks -- then you'll be attacked a different way, your
25 problem will move. And so any kind of specific, once

1 you're going-after-business processes, this is going to be
2 never-ending you'll never win this battle. So nibbling at
3 the edges is just going to add paperwork and costs and
4 trouble for all of the providers. So I'm going to say,
5 yeah, you should let NERC CIP run its course, which you've
6 heard. However, if you think that's going to solve your
7 supply chain issues, you clearly live in Denver.

8 (Laughter).

9 The altitude's higher. The issue really is it's
10 one of accountability and how do you issue a standard that
11 says you need to identify supply chain issues. And I think
12 we did a great job of summarizing that. And that's what we
13 need to do. You need to understand: What are my risks?
14 My risks are different from an ASIC, from a cable, my risks
15 are different from on software depending on where I'm
16 putting it in, what it's doing, where it came from, and
17 what libraries are included. And when I pass those risks
18 onto my customers, how do I communicate that to them? How
19 do I work with them? And so there has to be some method of
20 telling all the parties concerned you have to do the right
21 thing and if you don't do the right thing, I'm going to
22 pull you over.

23 I got pulled over once for speeding in Wyoming,
24 and actually I didn't get a ticket for speeding. He said,
25 "You know, you disrespected our local custom", and they

1 actually have a law in the book for disrespecting local
2 customs. And I thought that was kind of interesting, it
3 was really in retaliation to a regulation that said if you
4 pull somebody over for speeding the state gets the money.
5 If you pull somebody over for other laws the county gets
6 the money. And so they made a rule that said disrespecting
7 local custom, which covered all sorts of other laws, and
8 then they got to keep their money. Be wary of whatever you
9 invoke, they will find a way around to achieve their goals
10 as opposed to the outcomes that you wanted.

11 MR. APPELBAUM: I have something to say. Your
12 question is very, very important. Your supply chain risk
13 is always going to move, right. There's always going to be
14 that risk. You can't say there is no bad guy out there.
15 That's why I think this panel before you and the next panel
16 keeps going back to 10, this requirement. Connecting the
17 cyber system at a high level we check those controls. And
18 that's because nothing that comes before in that supply
19 chain, bring that device in, can one hundred percent make
20 it compliant -- make it secure, not "compliant". I made a
21 mistake myself. Make it secure. They're only protected
22 before you put that EMS system in or that high-impact
23 relay, you need to test it, you need to go through it. Is
24 my password there? Do I have that right baseline? The
25 baseline I put on there, is that the baseline I expect to

1 be on that system? These are all checks in existing lists
2 and various documents. But that's what that CIP 10 or 5 is
3 supposed to do; it's a very important step, chain
4 management step, it's key, and there's a lot that goes into
5 the work, the reliability assessment.

6 MR. OWEN: I'd like to encourage to not be too
7 quick to dismiss the idea of low-hanging fruit. And the
8 notion of like Havix (phonetic) had last year was software
9 that wasn't signed at all really as a supplier to this
10 industry is embarrassing to me. I think that regulation is
11 not required a voluntary approach that simply makes it
12 clear that that's the expected normal in this industry and
13 shaming your peers when they don't do the right thing would
14 be sufficient.

15 MR. THOMAS: I think I might say with respect to
16 whether this view there should be new standards that should
17 be developed now or whether or not there is a view that we
18 should let CIP V 5 settle for awhile. To ensure that
19 you're nibbling around the edges in the right area you
20 really first of all ought to undertake a more holistic
21 review. Now after you undertake that more holistic view,
22 you may then decide to focus on certain areas. But I would
23 encourage some sort of overall holistic review before
24 starting to target specific areas of procedures which will
25 differ in terms of both importance to corporations and

1 their willingness to address them.

2 MS. CONWAY: All right, so one last thing: This
3 is a model. What we did is we looked at what was out
4 there. I started with over 3,000 controls and I narrowed
5 it down to 1,200, and then I got serious. And in our
6 architecture there are 184 requirements. That's it, 184
7 across 11 domains, and not all of them apply to everyone in
8 the matter of the nature of the service of the product that
9 you're offering as a member of that value chain. So my
10 answer to you is: There is a way to narrow it down and
11 articulate a baseline. Many of those things are already
12 articulated, but that kind of comprehensive view might
13 assist us in identifying what's out there. And to Bryan's
14 point, if there's low-hanging fruit that hasn't been
15 addressed, let's close the gap.

16 MR. PHILLIPS: Thank you all.

17 MR. WEBER: One more for just a possible nibble
18 there. I think it's important to understand who's
19 manufacturing the subcomponents and where they're being
20 manufactured, and then also maintain a global situational
21 awareness. You've seen the presence of that in CIP 14
22 requiring entities to plug into the vectors to understand
23 how they can be compromised through the attack chain. I
24 think that's something that can be done.

25 MR. BARDEE: Dr. Conklin, I have a question for

1 you just so I can try to understand a little better your
2 written remarks and your statement here today about
3 outcome-based approach or risk management framework. Using
4 that in the context of a regulatory scheme such as we
5 administer, how does that look, how does that sound, when
6 you shift from, as you've described, the CIP framework to
7 management framework?

8 DR. CONKLIN: Again, preferencing just how much
9 I hate regulation. But Sarbanes Oxley, we had a lot of
10 problems with financial controls in our various companies
11 and we tried various SET rules and all sorts of entities
12 said thou shall not cheat on your books. We got very
13 specific about how would do appreciation, all these
14 different swaps, everything in the world. At the end of
15 the day the regulation that really matters is the
16 regulation that says those that sign, which would be CFO's,
17 CEO's, and some cases CIO's for very specific purposes, if
18 it goes wrong, it's on you. And includes criminal
19 provisions. So if you lie or you misrepresent or you
20 basically sign stuff that shouldn't ever be signed because
21 it's not true and you should have known better, whether you
22 did or didn't, you can go to jail. It suddenly got a lot
23 harder to get things past a CEO when they did that. So
24 there's an outcome of if things go wrong, why did they go
25 wrong? What controls did you have in place? Without being

1 specific about them. Sarbanes Oxley does not list, "Well,
2 I did this, this, and this, therefore you cannot jail me."

3 So things will always go wrong, you can't
4 regulate about things going wrong. But you can regulate
5 against: Did you take due diligence ahead of time? And
6 that term is pretty well understood by lawyers. And if you
7 didn't, then you suffer the consequences. Now, it's very
8 difficult, the one difference is Sarbanes Oxley, you really
9 can't fine someone along the way. You can't say this is a
10 little off and this should be more forward here, therefore
11 here's your penalty clause. It's really almost like a
12 death sentence only. But it really has had a dramatic
13 effect on keeping people focused on not -- don't let things
14 go wrong, but understand you're in charge of this and
15 you're responsible for this and if you don't do what you're
16 supposed to be doing we'll get somebody else to do it. And
17 that's the other aspect. In this industry how many people
18 in positions of power that should have done a better job
19 have been barred from working in the industry? If you go
20 look at business under Sarbanes Oxley and other things --
21 with the exception of banking, we won't go there -- there
22 have been some really profound people at least from other
23 companies and part of the SEC they can no longer ever be on
24 a board of directors or ever be in charge of any company
25 ever again. So that's sort of accountability back towards

1 some of these things, is how you're going to have to do on
2 at outcome base. That's something I wanted to make sure
3 you know. I don't want companies to keep making mistakes.
4 That's the sort of the direction I would look at the way.

5 MR. RUOCCO: If I can comment on that as someone
6 who has to sign those documents.

7 (Laughter)

8 Hopefully, you won't see me on the news
9 tomorrow. Take the scenario of a zero day. I could be the
10 best CIO, CSO in the world and a zero day comes through
11 that just was a clever way to get in. And had I done my
12 due diligence, had I done the proper preparations, et
13 cetera, taking proper precautions? So I do think it falls
14 apart a little bit in that scenario. Otherwise, I
15 understand your point. And I certainly pay attention to
16 those things that I have to put my signature on. But I do
17 think the scenario in the zero day makes it a little bit
18 tough to hold that standard.

19 DR. CONKLIN: If I can answer real quickly. I
20 wouldn't say zero day -- let's take something that's not a
21 zero day, black energy. Does black energy exist anywhere
22 in your systems? You can't answer because I don't want you
23 to be on the hook for that. But the answer is definitely
24 clearly, yes; it's all over our grid. I know I've gone and
25 seen it in various places; it's all over. That in its own

1 right isn't necessarily the issue. The issue is: Will it
2 take down your grid? Have you structured and done the
3 things necessary so that should a bad -- a tree branch fall
4 on the wrong computer, the wrong substations, at the wrong
5 time, yes, you're going to have some outages, those things
6 all happen. But do you have the right things in place to
7 recover appropriately to deal with all those things,
8 including zero days. So I'm not anti things going wrong.
9 Things are going to go wrong. Black energy is out there;
10 it's going to be all over our grid, you're not going to
11 stop it. However, can we stop it from taking down our
12 grid, that's the answer. Are we going to get products from
13 third parties, i.e., other countries, other companies? I
14 don't think country is really an issue because bad stuff is
15 made here in the U.S. as well as anywhere else, that's not
16 the issue. Are we going to get bad stuff in our supply
17 chain? The answer is yes. Do we have a method of dealing
18 with it when it doesn't work out?

19 I rented a rental car in Hawaii recently, Nissan
20 Ultima. I will tell you don't rent those when you're in
21 Hawaii because they have a little digital keying problem
22 and every so often it says "incorrect key ID". When you're
23 in the middle of nowhere and the key is not working, it's a
24 bad day, okay. And there's no backup plan at that point.
25 I now have a new backup plan: I actually ask at the rental

1 counter, "If this sort of thing happens will you come get
2 me?" Okay. So I think knowing what to do when things go
3 on is what we have to hold people accountable for, not the
4 going wrong.

5 MS. CONWAY: May I comment on one thing at the
6 risk of stating the obvious. It's pretty clear that ITS
7 putting together a task force is -- in addition to wanting
8 to go out for a drink with these folks on the panel I think
9 would be fantastic conversation, it would only be a
10 milkshake but it would still be a fantastic conversation.
11 There are so many of us that are passionate about this and
12 who understand we can't succeed if we do this together. If
13 you get nothing else here, that so many of us are willing
14 to -- this is our country, this is our grid, this is our
15 industry, and we're in it together, we want to help.

16 MR. RUOCCO: Thank you. I'll take a milkshake,
17 chocolate. A few people have said this, and I think this
18 is something perhaps for you all to think about, is holding
19 people accountable to response standard might be an
20 interesting direction to go. I think many of us have the
21 capability to identify a number of possible intrusions, in
22 some cases maybe even address zero day scenarios. But I
23 think the industry is aligning further, is prepared for
24 that scenario if something gets through. And I'm not sure
25 I have the answer, so maybe the task force can help us.

1 But I think the notion of things you ought to respond to
2 and a response plan given of a particular scenario or some
3 event is worth thinking about. Does that make sense?

4 MR BARDEE: Well, thanks to all of you. We
5 really appreciate your attendance and efforts today and
6 your insights. And thanks again.

7 We'll be back in 15 minutes at 3:35.

8 (Whereupon, a short recess is taken.)

9 MR. BARDEE: We're back for our third and final
10 panel for today. We're all in place. With that, I will
11 turn it over to Douglas Bauder from the Southern California
12 Edison Company.

13 MR. BAUDER: Good afternoon. Thank you to the
14 staff for allowing me to take a few moments to talk about
15 how Southern California Edison addresses supply chain risk
16 management. And what I'm going to say has been said here
17 before. I think you'll note my resume is a little bit
18 different: I've spent about 20 years in the power industry
19 not only as an electric operator operating control systems,
20 it could go the wrong way if there was a latent problem,
21 but also overseeing physical security and also overseeing
22 cyber security under the NRC rules. So I have some
23 perspective on risk versus award in that area. I'm chief
24 of procurement officer and vice-president of operational
25 services at Edison. I also oversee security business,

1 resiliency, real estate, and a number of other functions at
2 the company.

3 I am very familiar with what we're talking about
4 here today in terms of risk. And I'll tell you that cyber
5 security is an issue of paramount concern to us at Edison.
6 We've devoted several thousand resources to protect the
7 grid from cyber attack. We know that the region we're in
8 is particularly sensitive, so we pay attention to that. We
9 do share a common goal to enhance the safe and reliable
10 operation of our grid. However, as I will discuss today,
11 Edison believes to develop new regulatory requirements and
12 standards focused on supply chain issues simply would not
13 assist in achieving that goal in many ways, and I'll share
14 some of those ways in a little bit. But we do share the
15 Joint Trade Association's view that there's no regulatory
16 gap to be filled regarding supply chain cyber security.
17 That issue has been amply discussed in the comments filed
18 by the trade association, by the NOPR dated September 21st,
19 2015.

20 With that said, we do acknowledge that the
21 Commission has expressed sound concerns about the supply
22 chain cyber security risk that should be addressed. Also,
23 we believe that the CIP V 5 framework, recently approved,
24 was designed to address and mitigate the various,
25 new-evolving threats. And we've talked some here today

1 about CIP 10 and how CIP 10 addresses change management.
2 Specific to high-risk bulk electrical system changes, we
3 talked about how latent changes are addressed, so I'm not
4 going to get into much of that. But we believe that that
5 framework is effective. We also believe that the existing
6 standards, how they require entities such as Edison to
7 develop prudent and effective vendor risk management
8 processes are also affective. For example, CIP 11 includes
9 information protection controls; CIP 4 includes vendor
10 personnel risk assessment and access management controls.
11 Thus, entities such as Edison are already required by
12 existing standards to manage supply chain risk, including
13 those risks introduced by third-party vendors. There's not
14 a lack of security control over managing supply chain risk.

15 In addition, though, is the standard.
16 Understanding and managing risks from our diverse supply
17 chain is really an important part of our strategy.
18 Southern California Edison expects each of its suppliers to
19 deliver products and served that will not introduce threats
20 to our environment and protect all SEE information that a
21 supplier may have access to or generate in the course of
22 doing business. We implement these expectations through a
23 number of practices and protocols, including segmentation
24 of our suppliers by a list of factors. We actually use an
25 enterprise of risk management mechanisms to do that, and in

1 that mechanism we look at grid reliability and factor it
2 down to: What are the suppliers in that space? We
3 implement the comprehensive supplier qualification program
4 and on-boarding process, in addition to the background
5 checks that are required by CIP 4. So, for example, we
6 look at a supplier's financial, we look at a supplier's
7 history, we look at what they've done before our company
8 and scorecard that work. We look at what the supplier is
9 going to be involved in: Is he going to be involved in
10 grid assets? Or touching personnel information at out
11 company? Or what that particular work is.

12 Then we use cross-functional teams to evaluate
13 and do that vendor risk assessment and various procurement
14 efforts, grid-related or otherwise. The teams particularly
15 involve supply chain management, information technology,
16 our transmission and distribution team, our legal team,
17 enterprise risk management which I just mentioned, and
18 other stakeholder personnel. And also importantly
19 including the cyber security procurement language into our
20 contracts.

21 We've talked about contracts a little bit here
22 today, and are they effective? Well, I'll tell you that
23 requiring cyber insurance, requiring third-party audit
24 rights to make sure that the cyber programs that a vendor
25 is using, requiring financials in particular for a vendor

1 to be able to withstand situations that involve response to
2 cyber issues, and requiring a vender to disclose to us
3 other cyber issues that have occurred are important. The
4 back end, yes, maybe the event already happened. But when
5 we're in contract space with a vendor, they know how
6 important these things are when we put them in a sector
7 when we acquire these things. These are practices that we
8 do based on the risks that we see and that risk is based on
9 what those vendors are going to be touching on, what
10 they're going to be working on in our system.

11 We also do regular contract operation, that
12 means require score cards and performance metrics. So as
13 we have a vendor at one of our facilities, an example would
14 be a vendor under CIP 4 controls, if there's issues with
15 that vendor we'll score card those issues and roll them up
16 and the vendor may not get additional work with Edison the
17 next time we go out to bid. These practices, along with
18 the existing standards, provide utilities like us with
19 flexibility to remain versatile and effective in meeting
20 our supply chain landscape.

21 Next, we're concerned that the development of
22 new regulations focused on supply chain management could
23 have unintended consequences and end up hindering rather
24 than helping entities protect the grid. That's been
25 discussed here today as well as being prescriptive to a

1 standard, meeting the standard, but not necessarily be
2 leading-edge in terms of teaming with a supplier to ensure
3 we're implementing best practices. I've seen first hand
4 the impacts of some of the most restrictive supply chain
5 regulations in other fields, and fear that the adoption of
6 such restrictions overall entities will not address the
7 concerns the Commission raised in the NOPR, it could have
8 worse secondary impacts on our sector. For example, in
9 position of NERC regulatory commission-style regulations
10 may drastically limit the basis of suppliers available to
11 electric utilities and stifle innovation. That's not
12 theoretical in nuclear power; I've watched under the NRC's
13 NTFR 50 program, I watched vendors merge together so
14 eventually where we had 12 vendors we now have one or two,
15 and the costs escalated. A typical cost escalation we
16 would see was 3 to 10 times cost.

17 Another big difference in the NRC's regulatory
18 scheme under the 10 CFR 50 appendix bravo, the vendors
19 needed to qualify in the program needed to have a quality
20 assurance program that enables them to meet our
21 requirements and meet the regulatory requirements. So if
22 there's an issue, the Nuclear Regulatory Commission can go
23 after the vendor and audit the vendor along with the
24 responsible entity. I've seen that happen in nuclear
25 power. The vendors know this so that they brace up their

1 controls, they do things like source documentation, a lot
2 of witness documentation, a lot of traceability, and that
3 raises the cost of all of the parts that we use in nuclear
4 power, whether they're cyber or not as they touch the
5 nuclear power plant. I've got examples of those if you'd
6 like some specific examples, I won't name vendor names.
7 But I will tell you that the cost impact can be huge. So
8 what happens is some level of creativity is ruined; vendors
9 consolidate; and costs go up. A few vendors take on the
10 burden to meet the requirements. Many choose instead to
11 forego the market of NRC customers, the procurement
12 regulation model stifles and constrains further
13 developments in the field due to increased costs during
14 cyber security solutions. This means entities such as
15 Southern California Edison could be forced to select
16 protective equipment from a small pool of offerings rather
17 than from a much larger pool. We know that in cyber
18 security it's very important for those folks that are out
19 in that leading edge to develop new methods to prevent and
20 detect issues. The small size of available vendors in a
21 very highly-regulated environment also impose operational
22 cost burdens on to our entities and their ratepayers in
23 fact. Those vendors that do adopt the regulatory burden
24 increase their costs accordingly, covering the
25 administrative control. And those costs would, if a

1 similar model be adopted to the CIP model, be passed on and
2 turned to us and then turned to our customer.

3 With these two concerns in mind, Edison's
4 respectful recommendation to the Commission in this
5 proceeding is as follows: First, Commission should
6 reconsider its proposal to adopt new regulations focused on
7 solely supply chain management. The existing NERC CIP
8 standards already address the generalized concerns
9 expressed by the Commission. Further, development of new
10 regulations and requirements may hinder rather than help us
11 in the utility sector from pursuing additional risk,
12 mitigation, and managements efforts, and technologies that
13 could in fact protect the grid.

14 Next, we propose that the Commission encourage
15 utilities to continue to identify and develop supply
16 chain-related cyber security best practices where possible,
17 but not necessarily manage. For example, as cited by the
18 Commission in the NOPR, the National Institute of Standards
19 and Technology, NIST, has published the supply chain risk
20 practices could involve and provide entities, such as us
21 and others, guidance for tailoring and implementing these
22 practices. We've discussed the NIST SP 800-151 and NERC
23 already. However, because one size does not fit all,
24 entities must be free to use, modify, or not use these
25 practices to fit their own requirements. Similarly, the

1 Department of Energy published a set of cyber security
2 procurement language, that we've also discussed in here
3 today, that provide a starting point for entities to use
4 when acquiring energy delivery systems or components. This
5 publication is voluntary and entities such as Edison are
6 free to utilize the information provided by the DOE
7 guidance to enhance their own systems.

8 We do recognize that cyber-related threats to
9 the industry and its control systems are constantly
10 evolving and we need to be evolving our capabilities to
11 address those threats. We remain vigilant and committed to
12 implementing heightened security measures, both physical
13 and electronic, to ensure that reliability protection of
14 the grid. As such, we continue to monitor the grid and
15 take actions, as other utilities do, to address those risks
16 introduces through the supply the chain. Thank you.

17 MR. BARDEE: Thank you, Douglas.

18 Our next speaker is Andrew Bochman from the
19 Idaho National Lab.

20 MR. BOCHMAN: Thank you Commission, thank you
21 staff. My name is Andrew Bochman from the Idaho National
22 Lab where I'm senior cyber energy security strategist. I'm
23 here on behalf of the U.S. Department of Energy's Office of
24 Electricity Delivery and Energy Reliability, DOE/OE. And
25 the DOE's complex is of 17 national laboratories, one of

1 which is the Idaho National lab I'm from. INO has a long
2 history cyber security physical research, which is
3 development of the world's first nuclear energy generation
4 technologies. This work involved designing and testing
5 nuclear generation plants, as well as the first conductor
6 control systems, essential for monitoring and managing
7 nuclear proxies at a safe distance. Over time this led to
8 working in close collaboration with a variety of energy and
9 communication suppliers as all parties sought to achieve
10 maximum security goals.

11 In large part, based on these experiences, INO
12 was approached by DOE/OE to performed ICS assessments and
13 impact demonstrations on a large number of systems
14 involving many suppliers and asset owners. DOE/OE has
15 undertaken a number of initiatives in the sense of improved
16 innovation stance, vis-a-vi energy sector supply chain
17 vulnerabilities and related challenges, particularly to the
18 electric, and oil, and natural gas sectors. Among these is
19 the cyber security capability maturity model, abbreviated
20 C2M2, which includes ten principle securities, one of which
21 is supply chain and external dependencies management. It
22 addresses cyber security requirements for electric
23 utilities and other asset owners and their suppliers and
24 third parties such as requiring suppliers to notify
25 customers if and when they themselves have cyber security

1 incidents, or if they themselves uncover, otherwise learn,
2 of vulnerability inducing product defects throughout the
3 extended life cycle. Asset owners are also encouraged to
4 monitor other information sources closely to identify and
5 avoid supply chain threats. I'm sure you're very familiar
6 with by now, DOE/OE and many of the organizations have
7 produced procurement language in 2014 to guide and assist
8 folks in trying to add supply chain and other security
9 factors into their supply chain to assist asset owners in
10 their acquisition of more secure products and services.

11 One thing I definitely want to share with you is
12 the formation of a new energy sector critical manufacturer
13 working group. A collaboration effort between the DHS
14 Office of Infrastructure Protection and DOE/OE that will
15 work with the energy in critical manufacturing sectors to
16 evaluate the security and integrity of delivering devices,
17 equipment, and services that support the nation energy
18 infrastructure. This supply chain focused effort will
19 provide a forum for asset owners and manufacturers to
20 discuss critical issues that might impact the energy sector
21 and provide recommendations for areas of improvement.

22 Here are a few early details for you: As
23 currently envisioned -- here's another great acronym -- the
24 EFCMWG, again that was Electricity Energy Sector Critical
25 Manufacturing Working Group, will (1) Be composed of

1 members from the critical manufacturing sector coordination
2 council and the electricity sector coordination council of
3 the natural gas sector coordination council. (2) Provide
4 an open dialogue in a CPAC environment where critical
5 manufacturers and energy asset owners can discuss issues
6 that impact the energy sector, be it critical manufacturers
7 and the supply chain. And (3) bring in, as necessary,
8 subject matter, supply chain management, trade
9 organization, et cetera, to contribute their specific
10 expertise on the issues being discussed. We briefed the
11 consent for this working group at the Association of
12 Electric Equipment Manufacturer's annual conference, that's
13 NEMA, N-E-M-A, as well as the Electric Subsector
14 Coordinating Council and the Oil and Natural Gas SEC
15 meetings last November and December, and got very strong
16 approval to proceed. If the ESCMWG is successful, one
17 tangible result -- and I'm coming down the homestretch --
18 you main envision us as the next national grid security and
19 resiliency exercise, grid X4, which will be in 2017. Not
20 only will asset owners and government agency senior leaders
21 be at the executive table top, but so will critical
22 manufacturers, or in other words some of the most important
23 energy sector suppliers, to help steer us towards the best
24 possible responses when security and the grid and the
25 nation are at stake.

1 Thanks again for the opportunity to share this
2 update with you.

3 MR. BARDEE: Thank you, Andrew.

4 Our next speaker is David Whitehead from
5 Schweitzer Engineering.

6 MR. WHITEHEAD: Good afternoon Commission
7 members and the Commission member staff. I'm Dave
8 Whitehead, I'm the vice president of research and
9 development at SEL. I'd like to provide perspective of a
10 supplier to our regulated entities. And before we rush off
11 into the regulation, give perspective on really what the
12 industry is doing from a supplier perspective on supply
13 chain.

14 So, SEL partners with customers around the world
15 to ensure the safe, reliable delivery of electric power
16 needed to design manufacturing, supply a products and
17 services and ranging from generator and transmission
18 protection to distribution automation and control systems.
19 We have been manufacturing our products here in the United
20 States which were founded more than 30 years ago. Managing
21 supply chain risk is a fundamental component to make sure
22 that the quality of the products that is being delivered to
23 critical infrastructure owners and operators.

24 At SEL we continually identify and measure our
25 proven practices in order to exceed the reliability

1 expectations of our customers. Our supply chain today is
2 global and complex, therefore SEL takes a comprehensive
3 approach to evaluating the risk to our supply chain. Due
4 to the rigorous design and qualifications process in the
5 research and development division that I lead, SEL works to
6 evaluate and understand all potential variables in supply
7 chain risk. The following are just a few examples in the
8 way we work to ensure a dependable supply chain: This week
9 at SEL we hosted our 16th annual supplier conference.
10 During this event, which encompassed more than 200
11 different companies, we explained to our suppliers how the
12 reliable operation of power systems depends on the quality
13 and reliability of SEL products. We shared our technical
14 needs and strategic objectives for the coming years and
15 identified ways to partner to make sure the continued
16 supply of quality parts. Attendees include those that
17 supply component parts, equipment, and services. This
18 relationship-building continues throughout the year as we
19 conduct onsite audit inspections of many of our suppliers
20 to ensure that their quality security processes meet our
21 required specifications.

22 At SEL we deploy supplier-rating relating
23 systems that include intelligence across the company to
24 assess risk variables such as manufacturing location,
25 material lead times, financial health, replenishment

1 methodologies, technology type, and performance for on-time
2 delivery. As much as possible, additionally we ask our
3 suppliers to first identify their suppliers along with
4 their mitigation strategy, strategies in replenishment
5 methodologies to help us better understand their risk of
6 their various suppliers.

7 As the Commission noted in the notice of public
8 or purpose rulemaking, product integrity is essential to
9 the protection of the bulk power system. In order to
10 ensure the integrity of the products we deliver to our
11 customer, SEL employees' qualification process for all
12 components we purchase, we procure the components directly
13 from manufacturers or official distributors. The component
14 must be purchased on the site of processes we take
15 additional steps to ensure their integrity. We develop the
16 majority of our own software. If we do use third-party
17 software, we require the source code. All products go
18 through numerous code peer reviews. We also have automated
19 tools for inspecting the code in order to identify
20 potential issues developers may have missed. Further, we
21 provide tools to our customers to ensure that they know
22 that the software came from SEL.

23 We participate in various government-led
24 initiatives and standards, developments, and activities so
25 we can be cognizant of other current best practices,

1 attribute to the industry best practices, and stay attuned
2 to the evolving demands based on our customers. Similarly,
3 we contribute to and use guidance documents such as the
4 NIST cyber security framework to improve our own processes
5 and controls and help shape agreed-upon industry best
6 practices.

7 I'd like to do close that SEL does not think a
8 mandatory reliability standard would help registered
9 entities mitigate the risk posed by their supply teams.
10 Giving entities the flexibility they need to manage global
11 supply chain grid is extremely important in this day and
12 age. To do that effectively, we must be able to use any
13 and all tools that are available and improve upon those
14 tools through innovation. Various standards, such as the
15 one that I mentioned earlier ISO 27.001, provide SEL with
16 the tools we need to manage risk in the supply chain. In
17 order to make electric power safer, more reliable, and more
18 economical, we need to be able to move at the speed of
19 business. By their very nature, standards are restrictive
20 and often too slow to keep pace with the technological
21 development. Being required to adhere to a standard does
22 not always practically mitigate its risk. SEL's continued
23 innovation, as SEL using the best parts of standards rather
24 than simply settling into what may be required. It is in
25 the best interest of our customer and their suppliers not

1 to limit the tools they have available to them to mitigate
2 risk or the supply chain. To that end, we will continue to
3 collaborate with our customers in their efforts to protect
4 their critical infrastructure assets by helping them ensure
5 a dependable and diverse supply chain.

6 Thank you again for the opportunity to discuss
7 this important topic.

8 MR. BARDEE: Thanks, David.

9 Our next speaker is Andrew Ginter from Waterfall
10 Security.

11 MR. GINTER: My thanks to the Commissioners, and
12 to everyone, for the opportunity to address you today.
13 Waterfall Security Solutions is a technology vendor
14 producing a family of products based on security gateways.

15 The bulk electric system supply chain provides
16 both physical and cyber products and services to NERC
17 entities. Almost all major industrial vendors have cyber
18 or cloud offerings which are used widely within the BES.
19 Almost all of these cloud products and services have
20 connections to acquire control systems and sometimes demand
21 remote control all from vendor control centers via the
22 Internet. Compromise of vendor cloud systems can provide
23 an attacker with the means to attack hundreds or thousands
24 of sites in a North American grid simultaneously. For
25 example, many entities with large power plants have

1 stagnated their plant networks by deploying just a handful
2 of firewalls. When CIP Version 5 takes effect, even the
3 largest of these segmented power plants will have no
4 high-impact BES systems and no medium-impact systems. This
5 is because each network segment controls less than 1,500
6 megawatts of generator capacity. Now, don't get me wrong,
7 segmentation is a legitimate security technique when the
8 result is truly independent segments that make it
9 impossible or difficult to propagate an attack from one
10 segment to another and difficult or impossible to attack
11 all of the segments simultaneously. However, connections
12 to cloud systems, and even to corporate IT systems, pass
13 right through firewalls.

14 At Waterfall we know this as the NERC CIP
15 firewall loop hole. To address this threat, a growing
16 number of forward-thinking entities deploy unit-directional
17 security gateway technology to protect important networks,
18 including segments, firewalls. The gateways physically
19 prevent any message from a cloud vendor or an IT member
20 from reaching a protected network. Cloud providers can
21 monitor unit-directionally protected networks, but can
22 neither control those networks nor compromise them.
23 Entities can legitimately deploy security controls to
24 unit-directional segmented networks because such networks
25 are effectively immune from simultaneous attacks, as well

1 as many other attacks. If vendors need to make changes to
2 protected systems, the unit-directional remote technology
3 lets the vendors see the screens of BES control systems and
4 provide advice to local personnel, making changes without
5 risk to those control systems. This is in contrast with
6 CIP compliant interactive remote access systems, which can
7 be breached by attackers of even modest means. Security
8 bypass technology is another option for
9 unit-directionally-protected networks, entities activate
10 this technology manually to provide a vendor with remote
11 control of an otherwise unit-directionally-protected
12 system.

13 The NERC CIP Version 5 standards encourage the
14 use of unit-directional gateways by reducing compliance
15 costs for unit-directional protection systems. CIP Version
16 5 exempts unit-directionally protected systems from
17 bidirectional external connectivity requirements. In other
18 jurisdictions such as Europe, the Middle East, and along
19 the Pacific Rim, electric utilities are also using
20 unit-directional protections including cyber supply chain
21 risks. The same is true as other industries, including
22 offshore platforms, petrol-chemical pipelines, and control
23 systems.

24 The Department of Homeland Securities, NSIC,
25 recommends unit-directional communications in seven

1 strategies, including the network segmentation strategy.
2 To this date, 182 Revision 2 positions unit-directional
3 gateways as stronger than firewalls in defense in-depth
4 programs for industrial measures. The Commission may also
5 wish to examine the cyber supply chain risk address by the
6 French ANSSI, that's A-N-S-S-I, not the North American
7 ANSI. The French standards for building firewall
8 connections between the most important critical
9 infrastructure networks and any less critical network, that
10 that is for build remote control of the most critical
11 networks. The French standards don't permit
12 unit-directional monitoring of all networks and recommend
13 unit-directional communications over firewalls.

14 When NERC entities, in our experience, ask
15 industrial vendors for increased security in the form of
16 unit-directional protections, we see an entire spectrum of
17 responses. Some vendors embrace unit-directional
18 technologies; others permit unit-directional gateways from
19 continuous monitoring but demand security bypass technology
20 for occasional remote control; still others reject
21 unit-directional technology, outright arguing, in my
22 opinion incorrectly, that firewalls and encryption provide
23 sufficient security for such connections.

24 And if I may add to my prepared statement
25 regarding the most-pressing practices, to focus on whether

1 regulated or not, yes, all security measures can be
2 defeated. Our goal, though, should be to raise the bar, to
3 raise the bar to the point where the only practical
4 effective attack on our most important systems is one that
5 requires deliberate, physical cooperation by people at the
6 targeted cite.

7 To sum up, critical infrastructure sites in many
8 industry's jurisdictions use unit-directional to address
9 industrial cyber supply chain risks, and so work to raise
10 the bar in this way. Increased use of unit-directional
11 security gateways involve electric systems will
12 dramatically reduce cyber supply chain risk and will
13 measure the improved security and the reliability of the
14 bulk electric system.

15 Thank you again.

16 MR. BARDEE: Thank you, Andrew.

17 Our next speaker is Steve Griffith who is with
18 the National Electrical Manufacturers' Association.

19 MR. GRIFFITH: Good afternoon members of the
20 Commission staff. Thank you for the opportunity to allow
21 me to participate in this conference. My name is Steve
22 Griffith and I'm an industry director representing the
23 National Electrical Manufacturers' Association, NEMA. NEMA
24 is the association of electrical and medical manufacturers
25 founded in 1926 and headquartered in Arlington, Virginia.

1 Our nearly 400-member companies manufacture products
2 including power transmission and distribution equipment,
3 lighting systems, factory automation, and control systems,
4 and medical diagnostic energy systems. NEMA and its member
5 companies interface with several of the 16 critical
6 infrastructure sectors, NEMA is one of them. NEMA
7 understands that a focused effort as a number of companies
8 is essential to support this critical infrastructure
9 essential to nation security.

10 As the manufacturers of critical grid equipment,
11 NEMA and NEMA companies play an important role in
12 strengthening the cyber security in the electric supply
13 chain. NEMA and its manufacturers understand that securing
14 the supply chain is essential to securing the grid, and
15 that cyber security aspects should be built into, not
16 bolted on, manufacturer's products. We also understand
17 that managing cyber security supply chain risk requires a
18 collaborative effort and open lines of communication among
19 electric utilities, companies, and the manufacturers of
20 critical electric grid systems and components, both
21 hardware and software. The Edison Electric Institute, EEI
22 and NEMA have discussed this on the shared cyber security
23 principles back in 2012. As you've heard from my
24 colleagues, supply chain disruption and compromise is a
25 major concern for the electric industry. The EEI and its

1 member companies recognize that addressing this concern
2 would require collaboration with NEMA and electrical
3 manufacturers, the companies that supply products and
4 services to those utilities. There was a consensus between
5 EEI and NEMA that if we work together to manage supply
6 chain and security risk. NEMA was a partner in this
7 process last year and took a step further in developing
8 this organization NEMA worked to identify guidelines that
9 electrical equipment manufacturers can implement during
10 development and minimize the possibility that bugs,
11 malware, viruses, or other exports can be used to
12 negatively impact operation. In June of last year we
13 published an administrative-incentive white paper on cyber
14 security supply chain best practices manufacturers,
15 otherwise again as CPSP1, supply chain best practices.
16 That is available online at NEMA.org, supply chain best
17 practices. The document's been very well received by
18 manufacturers, utilities, policymakers, and the general
19 public. The document address supply chain integrity
20 through four phases of the product life cycle: First,
21 manufacturing, an analysis during manufacturing to detect
22 and eliminate anomalies in the embedded components of
23 hardware; second, delivery, tamper-proofing, to ensure the
24 manufactured devices can't be altered from the production
25 line to the operating environment; third, operation, ways

1 that a manufacturer device enables asset owners to comply
2 with security requirements and necessities of the regulated
3 environment, otherwise known as the security development
4 life cycle; four, end of life, decommissioning or
5 revocation processes to prevent compromise or obsolete as
6 being used as a means to penetrate security networks. As
7 opposed to being an all-inclusive document, it's a
8 representation identified best practices that vendors can
9 implements that deliver, manufacture, and deliver products
10 as part of the supply chain.

11 I'll cite some few examples from the document
12 itself. The manufacture and assembly phase of the product
13 suggests that manufacturers follow a documented purchasing
14 process that gives preference for ensuring the company for
15 only the original equipment, manufacturers or their
16 authorized suppliers. Manufacturers should also have in
17 place some type of industry-recognized inspection technique
18 to discover counterfeit components before they become
19 physically integrated into the product. In the
20 taper-proofing phase, at minimum manufacturers should be
21 required to use some type of tamper resistance, coating, or
22 seal on all hardware components. In the operating system
23 layer, manufacturers should consider using an OS with
24 minimal kernel features in the application stage. In the
25 final, it increases the integrity of the OS component. In

1 a security development life cycle, at minimum manufacturers
2 should test their products or devices to validate
3 compliance with the security requirements and necessities
4 of the environment. Depending on an environment,
5 third-party testing may be required. In the
6 decommissioning or revocation phase, at minimum
7 manufacturers should use purging or sanitation techniques
8 to remove sensitive data from a system or storage device
9 with the intent that the purged data can't be reconstructed
10 by any known technique.

11 NEMA and NEMA companies recognize that supply
12 chain cyber security risks are constantly evolving. We
13 want to thank FERC for hosting this very important
14 conference. However, we would like to emphasize that if
15 the market determines the need for additional supply chain
16 standards, they should be voluntary, and the process
17 whereby they're developed should be open and
18 industry-consensus based. NEMA looks forward to working
19 with and being a resource for FERC, NERC, utility and other
20 stakeholders in addressing supply chain issues and risks
21 within the energy sector.

22 Thank you.

23 MR. BARDEE: Thank you.

24 Our next speaker is Maria Jenks from Kansas City
25 Power & Light.

1 MS. JENKS: Good afternoon. It's a pressure and
2 an honor to be here this afternoon. Like you said, I'm
3 Maria Jenks. I'm the vice president of supply chain for
4 Kansas City Power & Light, also known as KCP&L. By way of
5 background, I spent the last six years in supply chain.
6 Prior to that I led our internal audit function. So I have
7 an understanding of risk management principles.

8 Like I said, I'm here representing KCP&L. We
9 serve 830,000 customers for residential, commercial,
10 industrial in the western part of Missouri and eastern part
11 of Kansas. We have about 6,600 megawatts of base load
12 generation. We appreciate the Commission's continuing
13 strong interest in critical infrastructure protection
14 supply chain risk management issues, and welcome the
15 opportunity to participate in today's technical conference.

16 The CIP Version 5 requirements provide the right
17 approach in mandating the what, but not the how, in terms
18 of cyber security in supply chain risk management. KCP&L
19 using existing supply chain risk managements guidelines and
20 practices to help determine the how for regulatory
21 compliance, as well as enterprise-wide risk management. We
22 do not believe a new or modified FERC mandate standard is
23 needed to address the supply chain cyber security risk for
24 industrial control, hard, software, and computing network
25 services associated with bulk electric system operations.

1 Long-held, fundamental goals for every utility supply
2 chains, whether acquiring turbines, transformers, or cyber
3 assets, is ensuring security and has competence in all of
4 the purchase power services. In light of these fundamental
5 goals, it is simply good business practice to promote
6 supply chain security. As somebody has every incentive to
7 safeguard KCP&L's operational integrity, my comments will
8 summarize KCP&L's current supply chain risk management
9 efforts which are representative of existing utility
10 procurement practices and industrial supply chain
11 initiatives regarding information in technology and
12 hardware/software services also critical to infrastructure
13 sectors.

14 Supply chain and supply chain risk is not just
15 managed by me and my team. Supply chain is really the
16 nerve center of the utility and cuts across our whole
17 company. So we all work together to help ensure resilient
18 supply chain. We manage supply chain risks through a very
19 collaborative approach, both through our internal
20 stakeholders as well as our suppliers, using
21 widely-accepted standards and frameworks and processes to
22 assess, to manage, and then to monitor those critical risk
23 areas. KCP&L employs and enterprises this management
24 framework based upon a COSO enterprise integrated risk
25 management framework to assess risk, including but not

1 limited to cyber and physical security, reliability,
2 operational, and supply chain risk, among many other
3 business risks.

4 Enterprise risk mitigation strategies are
5 supported and then monitored. The process is coordinated
6 by KCP&L's internal risk management department, it engages
7 leaders of businesses across the company. And then on the
8 back end there's added monitoring that happens, not only
9 from risk management but also internal audit, our focus
10 compliance department, our FERC compliance department, and
11 additional assurances through the quality control
12 procedures with the operating units. Basically, enterprise
13 risk is organic and it's foundational throughout the
14 organization, including the supply chain function. So it
15 starts at the enterprise level and cascades down through
16 the departments.

17 From the supply chain perspective, of offices
18 require the supply chain risk assessments, cyber and
19 physical security risks is a dimension of the assessments
20 and always considered. We also have a supplier risk
21 assessment framework, and we use that to identify and
22 assess suppliers that pose a particular threat, risk or
23 threat, to operations. And we tier that risk, we
24 categorize them based on high, medium, or low priority --
25 or risk level. Traditionally, supply chain risk assessment

1 risk is at the front end of the process for every major
2 procurement of goods or services as well. So while the
3 processes and procedures require cyber security, physical
4 security, and reliability risk assessments, they're only a
5 component of the broader range of business risks that are
6 evaluated and mitigated by supply chain.

7 Once a procurement project is started,
8 purchasing procedures require supply chain work which is
9 often with technical experts throughout the company often
10 involving engineering and the project managers, leveraging
11 their expertise and establishing technical specifications
12 that are included in our request for proposal, or RMP. The
13 RMP provides detailed design to ensure specifications, as
14 well as other technical and standards. The RMP technical
15 specification helps out discussions with prospective
16 suppliers and are critical to the robust evaluation
17 process, including identifying cyber and physical security
18 risks. Risk assessments also guide discussions as to
19 contracting approaches and contracting structure.

20 KCP&L also utilizes the cyber security
21 procurement language for energy delivery systems that we've
22 heard so much about today, endorsed and promoted by the
23 Department of Energy and the Department of Homeland
24 Security. KCP&L has developed a guideline based on that
25 procurement language to assess risk relating to hardware,

1 software, and communication-type purchases. Using the
2 guideline, appropriate contract provisions are incorporated
3 into our procurement agreement. And there's been some
4 discussion about these contracts, and the thing that I just
5 wanted to add on to that is: What I have seen is the value
6 of the procurement language is not in the language in and
7 of itself. Because if you rely only on that then you are
8 missing a whole component of the rest. I have seen more
9 value not come out of attorneys battling over specific
10 words within that language, but rather the discussions that
11 those have brought about by having the engineers and the
12 project managers on our side sitting with their
13 counterparts on the supplier side and really talking about
14 the language is trying to mitigate in the particular
15 project and coming to solutions that are beneficial for
16 both sides.

17 KCP&L also employs a rigorous supplier
18 evaluation process, qualification and approval. And this
19 is prior to contract award. Our due diligence includes
20 items such as safety reference, financial and credit
21 standing, security standards and certifications, other
22 quality and security checks depending on the nature of the
23 work and the risk of the supplier. KCP&L works extensively
24 with suppliers with the understanding of their
25 manufacturing processes, subcontracting plants, supply

1 chain, and other relevant information relevant to the
2 procurement transaction. Sometimes again we'll perform
3 site visits and inspections if appropriate. We identify
4 whether data is going to be shared amongst the companies,
5 whether the supplier system will interface with our system,
6 and a whole host of other information.

7 We recognize how difficult it is, and impossible
8 really, to achieve a hundred percent security, but that's
9 why we partner with the federal government. We further
10 assess cyber-aspect risk based on what is received such as
11 the Federal Bureau of Investigation, the Department of
12 Homeland Security, the Electric Information sharing and
13 Analysis Center, and other utilities. We employ a rigorous
14 formal internal review and approval process for each
15 procurement before contracts are signed. We include
16 subject matter experts from risk management, information
17 security, information technology, our corporate security,
18 engineering, operations, warrantee, legal compliance, or
19 other affected stakeholders that review pertinent sections
20 of the contracts prior to execution. Cyber security
21 procurements have subject matter experts for each technical
22 area as well. Controls and protocols are in place to help
23 ensure that the risks identified during the assessment
24 process has an appropriate risk mitigation plan in place
25 with documentation and confirmation at completion.

1 Then there's the post-contract execution. After
2 a contract is executed, there a number of monitoring
3 activities that occur. Depending on the identified risk
4 level established during the initial risk assessment and
5 based on the nature of the project, KCP&L may require a
6 number of different things such as overseeing the
7 manufacturing process, detailed receipt of inspection,
8 quality control, testing, independent third-party audits or
9 reviews, et cetera. Contract management processes are used
10 to confirm and document execution of developments of the
11 contract, including security-related provisions.

12 Then we work with our suppliers on an ongoing
13 basis to monitor how the project is going. We work with
14 each supplier that include metrics to regularly track and
15 monitor service-level agreements and policy deliverables.
16 We conduct regular business to report our results and drive
17 reliability, effectiveness, and accountability. KCP&L's
18 change order control process and other contract management
19 processes work to ensure safety plans, security risks, and
20 quality certifications are available and up to date.
21 Ultimately, KCP&L believes setting the right tone and
22 communication to the suppliers is a critical component of
23 its supply chain risk management strategy; it truly is a
24 partnership.

25 In closing, KCP&L supports EEI's work on

1 principles and resources and recommendations for managing
2 supply chain cyber security risk. We believe industry
3 participants are responsible for the reliable operation of
4 the bulk electric system will adopt the guidelines and
5 build a system of risk management and control in accordance
6 with the guidelines. In the event there is a need to amend
7 the guidelines, we concur with a number of things that were
8 said here today that collaboration with a broad range of
9 stakeholders is absolutely critical. Not only subject
10 matter experts, having the right legal contract people
11 involved, supply chain experts, information security
12 experts, but also all these stakeholders, utilities,
13 suppliers, government agencies, trade associations like
14 EEI, NEMA, UTC, and others.

15 And then we also want to encourage an
16 across-industry approach. Many of our suppliers supply not
17 only to the electric utility industry, but they supply to
18 other critical infrastructure areas as well. So I think
19 taking an across-industry approach makes a whole lot of
20 sense. We talked a bunch about a task force today, and I
21 would encourage that as a way to explore and understand and
22 leverage other voluntary guidelines that are available such
23 as the NIST and standards, the DOE procurement language,
24 what NEMA has put out and others, way to share best
25 practices, but to keep it voluntary and flexible as well.

1 Thank you.

2 MR. BARDEE: Thank you, Maria.

3 Our next speaker is Robert McClanahan from the
4 Arkansas Electric Coop Corporation.

5 MR. McCLANAHAN: Thank you. My name is Robert
6 McClanahan. I'm vice president and chief information
7 officer at Arkansas Electric Coop Corporation. AECC is an
8 electric generation and transmission cooperative in
9 Arkansas that provides wholesale electricity to 17 electric
10 distribution cooperative member owners. These distribution
11 cooperatives in turn provide electric service to
12 approximately 500,000 retail members primarily in Arkansas
13 covering just over 60 percent of the state's geographic
14 area. I would like to thank the Commission staff and
15 Commissioner Honorable for the opportunity to provide
16 testimony this afternoon concerning the important issue of
17 supply chain risk management. I would also like to echo
18 AECC's support of the joint filing by the industry trades
19 in this docket to the effect that a new reliability
20 standard on supply chain is not necessary, nor would it add
21 value in this area.

22 AECC believes that the risk associated with the
23 supply chain should be analyzed from two broad
24 perspectives: Pre-implementation and post-implementation.
25 We believe that the post-implementation perspective, i.e.,

1 those rich to a system under our operational control, is
2 beyond the scope of today's proceeding and is sufficiently
3 being addressed through the company-specific cyber security
4 programs based on existing NERC CIP standards. Our
5 program's internal controls appropriately mitigate supply
6 chain risks such as tampering, theft, unauthorized access,
7 and malicious software insertion. The pre-implementation
8 perspective, which includes risk such as manufacturing
9 software development practices and counterfeit hardware and
10 software is far more difficult to control. AECC believes
11 that this difficulty is a direct result of three primary
12 factors: First, utilities the size of AECC do not have a
13 large enough financial impact on vendors to control
14 contractual firms relating to supply chain risk management.
15 As a result we are often left in a position of accepting
16 "take it or leave it" contract terms with little or no
17 ability to negotiate standard contractual provisions, much
18 less pre-implementation supply chain risk controls. Even
19 looking at the electric industry as a whole, AECC believes
20 there is insufficient purchasing power for full control
21 over the contractual terms of procurement. Second, there
22 are numerous supporting information and communication
23 technology, or ICT, assets from multiple vendors that work
24 together to make our control systems function. These
25 include servers, networking equipment storage, and virtual

1 infrastructure and access control in a monitoring system.
2 Even with proper supply chain risk management for power
3 control systems, any risk assessment of the actual supply
4 chain must factor in the supporting ICT asset. However,
5 has discussed previously, utilities such as at AECC are
6 often in no position to negotiate the contractual terms
7 governing their procurement.

8 Lastly, vendors are not required to, nor do
9 utilities the size of AECC have the means to, access,
10 assess, or audit supply chain vendors. The only tools
11 available to utilities in this arena are assurances that a
12 vendor provides through third-party assessments and
13 certifications. However, these are often inconsistent in
14 the controls that are tested and do not provide full
15 assurance in the activities conducted during procurement.
16 Because of these three difficulties, as well as the
17 regulation currently in place with NERC CIP, AECC
18 encourages the Commission staff to look toward non-punitive
19 initiatives that encourage wider use of vendor
20 certification, along with research to technologies to
21 assist in the detecting and preventing fraudulent hardware
22 and software. AECC asserts that the industry resource
23 investment would be significantly more effective in these
24 activities rather than in new compliance initiatives.

25 In conclusion, AECC recognizes that managing

1 supply chain risk is a vital part of any cyber security
2 program and appreciates the Commission staff highlighting
3 the importance of this issue. This is a challenge that
4 needs additional near-term research and testing. We have
5 confidence that FERC and the industry will continue working
6 together to support effective initiatives and addressing
7 cyber security risk in the supply chain.

8 Thank you.

9 MR. BARDEE: Thank you, Robert.

10 And our final speaker is Thomas O'Brien from
11 PJM. Tom?

12 MR. O'BRIEN: My name is Tom O'Brien and I am
13 the vice president and chief information officer at PJM
14 Interconnection. I'd like to thank the entire FERC
15 organization for pulling together this serious dialogue in
16 the serious conversation we've been having.

17 Regardless of the outcome today, this is a good
18 day. It's a good day to create dialogue around potential
19 solutions; we don't have all of the answers. My view on
20 the cyber security supply chain risk is it's critically
21 important. There is evidence of embedded vulnerabilities,
22 embedded attacks. We've seen them, some of them are not
23 but it's a real serious issue. But the positive thing for
24 me in this meeting today is that I saw more commonality
25 than I did difference. And I think that's a great starting

1 point.

2 I will let my written comments speak to the
3 details of the PJM point, but I wanted to cover a couple of
4 things. One is I want to talk a little bit about the
5 unique challenges, which was something the panelists were
6 asked about. And I think the unique challenges will really
7 go to answering the question the Commissioner Clark had
8 this morning about what's different around supply chain.
9 I'll talk a little bit about PJM, what we are doing, some
10 of the things around best practices. It won't be
11 comprehensive because I know that time is limited. And
12 finally I would like to talk about a recommendation going
13 forward that I think will help us advance all of this.

14 Going to the unique challenges, you've heard
15 today that the supply chain, the scope is huge, it's highly
16 distributed, and it does not fall under a single regulatory
17 jurisdiction. That makes it a challenge that makes it
18 different than a lot of things we've had to deal with. The
19 other thing I think is important and is a challenge that
20 the hardware, software, and service vendors, they will not
21 be successful if they are trying to operate to multiple
22 regulatory standards. I think there is some harmonization
23 that needs to occur with those standards, and without that
24 I think we'll be in trouble. The other thing I think you
25 need to be careful of in the standards process or guidance

1 process of wherever we end up, is that we don't lull
2 ourselves into a false sense of security and we don't
3 divert attention to the things that are most important.
4 And today many of the panelists talked about risk-based
5 approaches, and I think that makes a lot of sense. The
6 other thing -- and this was mentioned by some of the other
7 panelists -- the increased utility cost, we have to be
8 cognizant of that. There's no question that security
9 controls add cost and they are necessary and they must add
10 cost but we need to make sure it's effective and it's
11 efficient with what we're doing. So that kind of
12 summarizes the question I think, again, Commissioner Clark
13 had, what makes supply chain different and unique?

14 When I look at PJM in the way we operate is for
15 a number of years we've had what we call a security and
16 compliance program, risk-based program, where we're looking
17 at everything we're doing in compliance and security and
18 doing our best to stack up the risks and address things in
19 an incremental fashion based on what we believe is the
20 highest level. As you know, the risk essentially looks as
21 threat, it looks at likelihood, it looks at impact, and
22 we're trying to spend most efficiently the dollars we have
23 to driving the most important things. And the outcome here
24 I think needs to get us to the same place. Some of the
25 things we need to do -- and I won't go into great detail

1 about this -- but many of the other companies in their
2 analysis of threats, we have people attending classified
3 briefings, we're getting feedback from our government
4 contractors, we're getting feedback from our vendors in
5 terms of what are the threats, we're evaluating those,
6 doing the best we can so that we understand what the
7 threats are. It's not part of a standard right now but
8 it's part of a best practice and something we've been
9 doing.

10 Others on this panel have mentioned things like
11 vendor review processes. We do that, we look at our
12 vendors, we evaluate based on criticality what kind of
13 controls do they have both cyber and physical. We look at
14 our vendors of high-risk systems, and that probably falls
15 more into the EMS in that domain, we do audits of their
16 site, we spend time with their site, we look at the
17 practices of their domain in terms of managing their
18 environment, our development environments, how are they
19 managing those. And that's a big part of what we do.
20 Something that's ongoing right now, this is something that
21 PJM is doing -- and I give a lot of credit to the other
22 ISO's because it's been a collaborative effort -- putting
23 together common security requirements that can become part
24 of the procurement process and working together on that so
25 that we can drive vendors in a similar direction in our

1 contracts.

2 Others mention things like the background
3 screening process. We do the background screening
4 processes. We go beyond typical background screening from
5 the standpoint of everybody that's coming into the critical
6 access area, building as a contractor, all those kind of
7 things. Another key component that I believe is part of
8 supply chain management is active monitoring. There's not
9 a single person that e can fire that can handle supply
10 chain risk. But we look at things like 24 by 7 security
11 monitoring at the security operations center, advanced
12 tools that are looking at what happened to things that are
13 exiting your system. I give a lot of credit to NERC and
14 others around the CRISP, that's the Cyber Risk Information
15 Sharing Program. We know that our network that's actually
16 there's monitoring going on, is there stuff going out to
17 the bad guys? And that's really valuable. I don't think
18 there's a standard on that, but it's certainly a best
19 practice.

20 So I think I'll shift a little bit more to the
21 recommendation that I believe could be meaningful. And in
22 light of the complexity of everything that's going on, the
23 disparity standards, you've heard today probably more
24 alphabet soup than you've heard between ISO members and I
25 don't mean to minimize that because there's been a lot of

1 really, really good work done on that. Our recommendation
2 is to find a way to harmonize that. Things like -- and so
3 some of the other panelists, they talk about the NIST cyber
4 security framework, they talk about ISO standards. DOE
5 cyber security procurement language, we have a lot of
6 documents and we have a lot of guidance. The
7 recommendation that I would make would be that FERC direct
8 NERC not to develop a standard but to develop guidance, and
9 that guidance should include -- and I compliment the
10 non-industry folks, Edna Conway, your willingness to
11 volunteer Cisco leadership. But could FERC direct NERC to
12 put together an entire task force -- I'm not sure what we'd
13 call it -- but put together a group that is essentially
14 going to look at this problem from a risk-based perspective
15 and have an outcome that the first delivery is one of the
16 top five supply chain cyber security issues that we would
17 resolve. And then we can start working those, and we're
18 not waiting for a protracted standards process from two
19 years to three years to do it. Because the people in this
20 room have energy around doing this. So if we could do it
21 through a set of guidelines as opposed to a standards
22 process.

23 The other thing that's critically important, I
24 think this is certainly an area that FERC can help, we've
25 made tremendous progress in the industry around

1 communications and managements ideas, I give the Electric
2 Sector Coordinating Counsel a lot of credit for that. But
3 I see the ISAC being much more responsive, much more
4 information sharing going back and forth. The thing we're
5 missing is information sharing across all critical
6 infrastructures. So how could this recommendation, where
7 we're looking at risk, how could we be pulling together
8 information? What is the financial sector seeing? What is
9 the telecommunication sector seeing? I think there's a
10 huge opportunity for that kind of collaboration.

11 In closing, I believe the fastest,
12 most-cost-effective and most value will be driven through
13 this collaborative process across critical infrastructures,
14 across government industries, and across the vendors. We
15 won't get everybody on board initially, but if we can get a
16 subset of that to move the industry and move the critical
17 infrastructures together rather than individually, I think
18 that is our best chance of success.

19 And with that, I thank you for the opportunity
20 to speak. Thank you.

21 MR. BARDEE: Thank you, Tom. And thanks to all
22 of our panelists this afternoon.

23 COMMISSIONER HONORABLE: Good afternoon. I just
24 quickly wanted to thank you. Thank everyone who's still in
25 the room, you get the gold stars. This portion of the

1 panel, I wanted to try to -- some of my meetings ran longer
2 than I anticipated. But I'm delighted to be back to here,
3 half of at least of the presentations, because this was a
4 very practical, informing session to us about what's
5 happening in the real world, what are you really doing.
6 And that aids us in our evaluation of whether or not we
7 need this in the first place.

8 Mr. O'Brien, it's clear that there's been some
9 development of thought, probably not embraced by all, about
10 a task force or committee that NERC might be directing.
11 Would that task force or committee, or whatever, other
12 group it might be called -- and I realize this is off the
13 cuff -- would it aid in developing this guidance? Or who's
14 on first?

15 MR. O'BRIEN: I would see it as aiding in the
16 guidance. And I think based on this recommendation it's
17 essentially asking FERC to direct NERC to lead it. I do
18 recognize that there is a lot of other things going on.
19 DOE is doing things, there's a bunch of people doing
20 things. I think to the extent we can get people together
21 and people want to do it as a team as opposed to disparity
22 efforts, I think it gives us the best chance. And a
23 deliberate coming-out of it would be what if the Committee
24 came out within X months -- I don't want to put a timeline
25 on it -- the top five risks that we should be building best

1 practices around, and we're sharing that information, we're
2 working with the vendors, we're learning from them, they're
3 learning from us, across all those infrastructures, I think
4 that would be huge and I think it's a huge opportunity for
5 us.

6 COMMISSIONER HONORABLE: To follow that, then
7 allowing that discussion to guide the guidance that would
8 hopefully serve to harmonize all of these different sources
9 of information?

10 MR. O'BRIEN: Yes, that's exactly right. The
11 intent would be to harmonize all of the information that
12 out there. I've learned more in the last couple months by
13 talking to our vendors, understanding physical supply
14 chain, understanding chains of custody, there's a lot of
15 good information out there. And unfortunately, as I said
16 earlier, we don't have control over all of that as the end
17 customer, but we have learned about it. And somebody made
18 a comment earlier today that if we could point the vendors
19 in the right direction, whether it be a standard or a
20 guidance, the market will drive behavior. And we're all
21 asking the similar question. We're going to chose the
22 vendors that enforce best practices around cyber security
23 because it's that important.

24 MR. BARDEE: Mr. Bochman, I had a question for
25 you. I saw that not long ago you had on simplicity in

1 energy infrastructure. I wondered if you could sort of
2 describe the basic theme of your paper and whether what you
3 suggested there would help address any of the risks that
4 have been discussed here today?

5 MR. BOCHMAN: I'll keep this real short to allow
6 time for further questions and answers. The paper is
7 called Case for Complexity in Energy Infrastructure
8 published by CSI think tank. Basically contends that in
9 addition to all of the complexity that we've been learning
10 about today, the supply chain and their incumbent security
11 risk that comes with them, that the overwhelming technical
12 complexity of many of UST utilities most-essential energy
13 generation transmission distribution processes makes our
14 cyber adversary's jobs much easier than they should be. It
15 suggests selectively reducing complexity by, among other
16 things, putting a trusted man back in the loop, he or she
17 was removed for efficiency reasons; inserting analogue at
18 those service disruption boards in the immediate pathway to
19 the cyber physical target; and other out-of-band solutions.
20 Often this will mean the removal of unnecessarily complex
21 general systems that support these processes today. And in
22 so doing, this may serve to simplify and reduce certain
23 utility supply chain vulnerabilities and dependencies.
24 Mind you, if you read the paper, it's very emphatic that
25 this is not a broad recommendation for a great deal of

1 utility systems but only for the holiest of holy, the
2 things that must never be brought down by cyber means.

3 MR. BARDEE: Thank you.

4 Mr. Whitehead, given your line of business, do
5 you have any thoughts on that?

6 MR. WHITEHEAD: About the Holy Grail?

7 (Laughter).

8 MR. BARDEE: No.

9 MR. WHITEHEAD: But I think I could echo
10 probably on the theme. We've always taken an approach, and
11 I think many people have said there is not going to be one
12 overall that mitigates all of our supply chain challenges.
13 As we said, it's a global economy, we get parts from all
14 over the place. Certainly, from a manufacturer standpoint,
15 you can count on us to make sure we know how we manage all
16 that stuff. We ultimately provide a reliable product to
17 our customer. It's not just one product. We've used the
18 word "security" in depth. And I think that's really a
19 reason to that effect going back to when we were talking
20 about risk mitigation and how a system is designed if we
21 have an M minus 1 failure what we need in the system. So
22 all of those, taking that approach at our company, we're
23 designing systems for our customers about if the devices
24 become compromised or fail just because there's a memory
25 problem, it's out of service, how does the rest of the

1 service respond? I think that kind of echoes with there is
2 no Holy Grail, there can only be a security in-depth
3 approach.

4 MR. BARDEE: Mr. Ginter, I had a question for
5 you. Earlier today there was some discussion about vendor
6 access in the sense of not only being able to receive data
7 but also bidirectionally being able to send commands or
8 change settings remotely. I understand the products you
9 offer would be unit-directional in allowing the receiving
10 of the data but not the direct removal/control of any
11 devices. But other witnesses today were saying that some
12 of the controls under CIP Version 5 -- at least if I
13 understood their premise right -- your technology might not
14 be necessary or as critical to them. And I wondered what
15 you've been hearing lately in your discussions with
16 potential customers or what your thoughts are on CIP
17 Version 5 and whether it reduces the value of a
18 unit-directional approach?

19 MR. GINTER: We were actually very happy that
20 CIP Version 5 recognized the technology in the definition
21 of external-level connectivity. So I would say, if
22 anything, the standards have served to increase the
23 visibility of this alternative to firewalls. In terms of
24 remote controls, yes, the flagship product, the initial
25 gateway can only go one way; nothing gets back, remote

1 control is impossible. This is what we want most of the
2 time with most of our cloud vendors. I've described a
3 couple of technologies when occasional control is needed,
4 occasional remote access. We are seeing electric utilities
5 deploying this technology in an even-wider variety of
6 circumstances.

7 Very briefly, there's software involved as well.
8 The hardware allows the security of copies of servers. So
9 the software, unlike the firewall, never forwards messages;
10 it makes copies of servers. So we are seeing utilities
11 deploy this technology, making one set of copies of servers
12 outbound and a different set of copies of servers inbound.
13 So a message path that can be used as an attack path, it is
14 copying servers. And when continuing remote control is
15 obviously essential, there are still solutions that are
16 stronger than firewalls for those circumstances as well. I
17 don't know if that's what you were asking, though.

18 MR. BARDEE: I think that's helpful, though.
19 That does answer my question.

20 MS. DUNFEE: We've talked about cost a lot and
21 the cost of the standards. But I thought that Mr. Bauder
22 and Ms. Jenks, you talked about a lot of work that you've
23 done in implementing your supply chain risk programs that
24 they seem very comprehensive. If you could talk a little
25 bit about costs of that or has it greatly added to the

1 cost? And then for Mr. Bauder, perspective from the other
2 side, the program that you all have put together, have you
3 talked about those costs?

4 MR. BAUDER: Maybe a little bit about the risk
5 programs themselves. When we implement the enterprise risk
6 program we take a point of view that risk is probability
7 times consequence, and then we build a matrix. So it
8 doesn't matter what we're looking at: We could be looking
9 at cyber risk; or we could be looking at, in my case,
10 vendors doing vegetation management in Southern California
11 the risk can be very high. We can have a very costly
12 wildfires or can even take out transmission services;
13 that's happened. So when I qualify those vendors using the
14 score card approach, we look at what are the contractual
15 terms; we look at their insurance requirements; we look at
16 their past record; and we look at their controls and we
17 sample their field activity. So we get very much into
18 their business. That partnership is the same if you're in
19 the cyber world and you're trying to qualify a vendor to do
20 delicate cyber work. There is some incremental costs, yes,
21 but when you look at the risks per and you're eliminating
22 this big event which can really cause harm, and it doesn't
23 matter if it's in the cyber area or in some other area.

24 MS. JENKS: I would agree with that. We have
25 devoted a significant amount of resources in implementing

1 an enterprise initiative program. But we also see it as
2 protecting the overall enterprise from bigger consequences
3 that could occur, right. And that cascades down into the
4 organization. So I don't think I have much more to add.

5 MR. GRIFFITH: Obviously cost is a concern
6 because when you're trying security things, it's going to
7 cost more. I think that comes to the part that market is
8 going to dictate to move toward more and more of these
9 products. So you're going to be seeing -- and I think
10 we're already seeing this -- a lot of these contract are
11 requiring these be built in. So obviously in order to
12 compete members are going to have to level their playing
13 field.

14 MR. PHILLIPS: Mr. O'Brien, Ms. Jenks, and
15 Mr. Bauder, from a registered entity perspective, I was
16 just wondering if you could speak to the types of
17 disclosures that your organizations will typically seek to
18 require from your vendors whenever you're developing and
19 implanting a new system?

20 MR BAUDER: Are we talking about cyber
21 disclosures?

22 MR. PHILLIPS: Yeah, just from a security
23 perspective, what types of things do you look at and what
24 information before you make a decision?

25 MR. BAUDER: So we'll look for things like what

1 level of cyber events the vendor has had. Have they had
2 any issues with malware? Have they had any issues with
3 inappropriate control software? Issue with intellectual
4 property? If we think there's going to be a problem there,
5 we'll actually negotiate with who owns and controls the
6 intellectual property. Once again, it's a negotiation
7 back-and-forth, though. We do run into situations with
8 vendors having an ongoing matter that is obviously
9 protected under legal privilege. We respect that; we're
10 not going to demand the recording of that event in that
11 particular case.

12 MR. PHILLIPS: I think just to elaborate a
13 little bit further: Would you look at things like ask them
14 to disclose if they have hard-coded passwords and things
15 like that in the product that you might want to be aware of
16 from a risk perspective before you put that device or
17 software into service?

18 MR. BAUDER: I missed what you said about
19 passwords.

20 MR. PHILLIPS: So would you seek a disclosure on
21 hard-coded passwords, things of that nature, before you
22 would actually decide to put a device into service?

23 MR. BAUDER: We would expect a vendor to let us
24 know about something like that, yes. Obviously, if you
25 have a problem, something like a backdoor to a software

1 platform, that's something we would want to have disclosed
2 as well. There's various aspects of IT disclosures that we
3 would demand. Part of that relationship with the vendor,
4 though, to have that dialogue with us, we're interested in
5 past issues and what the vendor has done to close those
6 issues and prevent reoccurrence.

7 MS. JENKS: Also, similar to Doug, we also look
8 at past incidents and we'll dig into that extensively. In
9 addition to that, we might ask for copies if they've had
10 any third-party assessments or audits done, we might ask
11 for copies of that. If they do have any certifications, we
12 will ask for that. We will talk to them a whole lot about
13 their protocols for information and data-sharing, such as
14 their encryption techniques and that type of thing. We
15 will talk to them about their subcontracting claim and
16 making sure that we understand if they're going to
17 subcontract any of the work or if they're going to do it
18 themselves. And if they're going to subcontract, is any of
19 that going to be done offshore. And we've got very strict
20 requirements around anything like that. We also talk to
21 them about the screening and the background checks that
22 they do for their own internal employees that might be
23 working on our project. And then finally we'll talk to
24 them about their general quality assurance quality control
25 programs and understand what those are, what those involve.

1 MR. BOCHMAN: Just briefly, as the gentleman
2 from Arkansas said on the panel, the ability to
3 significantly effect the ability of a large software
4 company decreases with the size of your entity. And you
5 can have -- and conversely if you're dealing with a
6 start-up or a smaller software company or services company,
7 you can get a lot from them that you wouldn't get from the
8 larger companies. And I'd say even when we're aggregated
9 as NERC our ability to significantly change the behavior
10 exposure of supply chain from the largest of the large
11 software companies is going to be modest at best, and to
12 keep that in mind as we're thinking about what we're going
13 to do.

14 MR. O'BRIEN: I would just add a couple of
15 things. One of my colleagues said it depends on the size
16 of the project. Something like an energy management system
17 is we do develop a comprehensive set of requirements; we
18 share with the vendor; and that's something that we test
19 against those to make sure they're doing things. That
20 includes things like how they integrate into our
21 architecture, how they authenticate their systems, things
22 like all password management, all passwords, they're
23 allowed to have known passwords that are stored away
24 somewhere, and we do a lot with that. But the other thing
25 we do in addition that I think is pretty effective is,

1 again, for our major projects new applications going into
2 production is we work with a niche consulting firm that
3 actually does penetration and is not an internal audit
4 penetration, it's very transparent. And they try to break
5 it. They go in and they look at things and they do an
6 assessment. And if there's defects we put them into the
7 production environment, we go back to the vendor and have
8 them look at those defects. So we work pretty closely with
9 them.

10 The other thing is that the vendors, there's
11 tools that can do applications scanning looking for
12 vulnerabilities. There's a lot of information in there,
13 that's one of the advances that we're looking at, how they
14 work with vendors.

15 MR. PHILLIPS: Are the things that you do in
16 negotiating with the contract to say, you know, you're
17 requesting this level of access, I'm not sure you need that
18 access to my system, are there ways you can influence that
19 in the contracting process or other processes to say, you
20 know, we would like greater control over our system for
21 this particular service that we're looking to have somebody
22 provide?

23 MR. O'BRIEN: Absolutely. For the most part any
24 type of vendor access is closed unless there's a critical
25 reason it needs to be open. So we don't have our RENS

1 system open for people to walk into and do things to. And
2 that is in the contract. The other thing that's important
3 is we work together on those requirements because it isn't
4 -- they have good ideas too in terms of what they're doing
5 with other customers. But it's a very transparent, open
6 process in terms of what's expected in security
7 perspective. And it's getting better, I had mentioned
8 earlier, the collaboration between the ISO's is really good
9 and we've learned from others from what they're putting in
10 their contracts. We've all committed to growing that and
11 using that in our contracts.

12 MR. PHILLIPS: I have one just question, just
13 kind of seizing on some of the discussions we've had today
14 on information silos between different organizational
15 units. I just wanted to put out to the panel if there's
16 any sort of management-level controls or things of that
17 nature that would be useful for breaking down those
18 barriers within an organization? So, for instance, putting
19 a CIO or CISO, requiring them to sign off on a major
20 purchase of that nature, if that would be helpful? And
21 that could be in voluntary or mandatory framework.

22 MS. JENKS: We already do that. So we have a
23 very formal sign-off procedure around all of our
24 procurements. And so if there is something that involves a
25 technical purchase of any sort, or Chief Information

1 Officer is required to sign off on it, as well as the
2 business or whoever. So it might be legal signing off on
3 it, it might be our CIO, it might be or information
4 officer, depending on the level. So we've got a delegation
5 authority matrix and we have a procedure that dictates
6 which subject matter expert/experts need to physically sign
7 off on a contract before it's executed.

8 MR. BARDEE: With that, we will end our
9 conference here today. I would like to thank all the
10 speakers on this panel, as well as the earlier panels, and
11 thank our audience for hanging in there for the whole day,
12 it's impressive. So thank you all.

13 (Whereupon the FERC technical conference
14 scheduled for 11:00 a.m. on January 28th, 2016, was
15 concluded at 5:03 p.m.)

16

17

18

19

20

21

22

23

24

25