

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

UNITED STATES OF AMERICA
FEDERAL ENERGY REGULATORY COMMISSION
Office of Energy Projects

- - - - -x
MORIAH HYDRO, LLC Project No. P-12635-002
- - - - -x New York

MINEVILLE ENERGY STORAGE PROJECT
Draft EIS Meeting

New York State
DEC Region 5 Sub-Office
232 Golf Course Road
Warrensburg, New York 12885

Tuesday, July 30, 2019

The morning scoping meeting, pursuant to notice,
convened at 10:06 a.m.

1 P R O C E E D I N G S

2 MR. MILLARD: All right folks. We will go ahead
3 and get started. So, we're going to open the meeting, I
4 have here, 10:06, and thanks everybody for coming out today.
5 I appreciate your time in getting here and taking part in
6 what is an important process as we go through this licensing
7 of this proposed Mineville Energy Storage Project.

8 My name is Chris Millard. I'm a fish biologist
9 with the Federal Energy Regulatory Commission down in D.C.,
10 and I also am the project coordinator for the Mineville
11 Project. And I have with me today two colleagues, Andy
12 Bernick, also from FERC. Andy is a terrestrial biologist,
13 or a wildlife biologist rather; he worked on the
14 terrestrial resources section of the Draft EIS. Also, kind
15 of oversaw the geology and soils section as well and did the
16 threatened and endangered species section of the Draft EIS.

17
18 Also, we have Bernward Hay. Bernward is from
19 WSP, a consultant that we hired for purposes of this
20 project. He's a geologist, and we figured we needed a
21 little more muscle in the geology section of the Mineville
22 Project, so Bernward did all the heavy lifting for that
23 section as well as his colleagues over at Rizo Associates.

24 I do want to mention, too, that as we go through
25 the presentation today, I'm just going to kind of give a

1 brief overview of the process, kind of where we've been
2 with the project. Then go into each of the resource
3 sections to give a summary of our findings and some of our
4 recommendations, some of the proposals that Moriah has had.
5 And then we'll open it up for questions specific to each of
6 those sections. That way we can be a little more organized
7 as we go through things. I'll also mention that we have
8 Dan here from Ace-Federal Reporters, so he's going to be
9 transcribing everything that's said. All of the transcripts
10 will be available within a couple weeks of this meeting, and
11 you can access them online through eLibrary.

12 The purpose of the meeting, as most of you know,
13 is really for us to solicit comments on the Draft
14 Environmental Impact Statement that we put out in June of
15 this year. And, you know, we're asking folks to go ahead
16 and provide oral comments, any questions, any suggestions,
17 things that you think we did well, things that maybe you
18 think need some improvement. Everything is open for
19 discussion. You can also submit written comments. I think
20 a lot of folks are intending to do that. Those will all be
21 due by Monday, August 19th. And those can be submitted
22 online through eLibrary.

23 And if anybody has any questions about eLibrary,
24 how to use it, how to navigate through it, I can certainly
25 discuss it with you after the meeting today. I already got

1 to Dan being here so, one thing I will mention if I didn't
2 mention it previously is because Dan's using audio equipment
3 please speak loudly, speak clearly, introduce yourselves and
4 give your affiliation prior to providing any comments.

5 The other part of this meeting, and we'll also
6 have one this evening up at the high school in Port Henry,
7 but in between that we're going to be doing an
8 environmental site visit. This is the same kind of
9 situation that we had during the scoping meeting where we'll
10 go up and tour the proposed project area. The folks from
11 Solvay have been kind enough to allow us access, and so
12 we'll tour that. The idea is to get there about 2:15. Get
13 ourselves organized and then leave at 2:30. We'll meet at
14 the Moriah Highway Department, it's on 30 Joyce Road up in
15 Mineville. And we intend to probably spend about an hour-
16 and-a-half, maybe two hours tops touring the site before we
17 adjourn.

18 So, just a little background information about
19 how we got to this point. This project has been around a
20 while, to say the least. We got an application for the
21 project back in February of 2015, and it's been kind of in
22 the works much, much later than that. We initiated our
23 scoping meetings in December of 2016, and those were held
24 here and up in Warrensburg, in the same area up at the high
25 school in Port Henry.

1 Generally speaking, after we do the scoping
2 meetings, we issue our Ready for Environmental Analysis
3 notice. And in this case we got delayed a little bit. We
4 had requested some more information, had some more comments
5 and concerns before we felt we had enough information to go
6 ahead and initiate the NEPA document that we intend to put
7 together; and so the Ready for Environmental Analysis notice
8 came out in February of 2018. So, that's the point when we
9 started working on our EA, our environmental analysis; and
10 as we were going through that and going through the project
11 record, doing our evaluations, we kind of saw that this
12 project might actually constitute a major federal action
13 that could significantly alter the human environment; and
14 because of that we made a switch to an EIS. So, the issue
15 of the draft, the notice, rather, of the current EIS back
16 in April of this year and put together the additional
17 sections, did the additional work and figured out the
18 logistics to finally get our Draft EIS out on June 18th.

19 So, as I mentioned, our comments for the Draft
20 EIS are due on August 19th. And our intention is to then
21 take the comments that we generate both at this meeting and
22 any written comments that we get and put together a final
23 EIS by February of 2020. All the comments that we get, both
24 today and in *future meetings and written comments we'll
25 address in the Final EIS. And if they don't warrant any

1 revisions we'll still address them and then respond to each
2 and every question, so all the comments and questions will
3 be addressed in some fashion.

4 So, what I'd like to do now is just kind of open
5 it up for comments and questions on the Draft EIS. What I'm
6 going to do is pretty much summarize the issues that we saw
7 relative to each of the project areas, each of the resource
8 areas. So I'll go through them, discuss the issues briefly,
9 talk about what Moriah proposed for environmental measures.
10 And then also the recommendations that we came up with. And
11 then after each section we'll go ahead and open the floor to
12 any questions or comments; that way we things somewhat
13 organized.

14 So, the first is geology and soils, and clearly
15 this is kind of a complex area for the Draft EIS, there are
16 a lot of issues that we considered. I'll mention that this
17 isn't meant to be exhaustive. This is just kind of an
18 overview of our issues and our findings. And so really we
19 saw four separate issues here. Those are highlighted in
20 blue. I'll just go through them briefly.

21 The first being seismicity, structural integrity
22 and dimensions of the proposed facility. When I say
23 dimensions of the proposed facility, that's with regard to
24 the proposed project reservoirs. Clearly, this is, the
25 project is in the seismically active region, it's a pumped

1 storage facility, so water would be moving between the
2 project reservoirs. Bedrock within the project reservoirs
3 contains some marble, so there was concern over the solution
4 of the marble maybe impacting structural integrity. And
5 then also we wanted to look at the elevations in storage
6 compliance, and confirm them within each of the reservoirs.

7

8 There's also subsidence of the filled former mine
9 shafts, and if you're going to go on the tour today you
10 might see that. Some of the mine shafts are forming
11 sinkholes and have potential hazards. We want to look at
12 that as well. Hydrological connectivity to the adjacent New
13 Bed Mine, and we want to examine potential groundwater flow
14 and pathways from New Bed Mine into the project mines. And
15 then control of soil erosion. And here the idea there was
16 that project construction makes those soils that they could
17 erode into local streams.

18 The proposed measures from Moriah included
19 everything here. I've broken them down by topic area. So,
20 under seismicity and structural integrity, they propose to
21 conduct geotechnical investigations. Relate the seismic
22 risk and bedrock stability for the final design, and also
23 develop a 3D model. Also, they proposed to monitor
24 seismicity basically two months before project construction
25 and then twelve months after the start of project operation.

1

2

3

4

5

6

7

8

9

10

In regards to the subsidence of the former mine shafts, their intent was to go ahead and reseal all the shafts and openings within the project boundary with the exception of the 21 Pit. And with hydrological connectivity of the New Bed Mine, the idea is to isolate the project mines by sealing the West Drift and sealing any other water-bearing seams that may lead into the project mines. And for the control of soil erosion, the proposal was to basically implement an erosion and sediment control plan.

11

12

13

14

15

16

17

18

19

Once we went through our analysis we came up with the following recommendations, and some are mostly just modifications of the proposal from Moriah, but we also added quite a bit to it. So, our first was to develop a formal geotechnical investigation plan. And that plan would be for upwards of ten years post-construction to expand the number of borings that were proposed and conduct additional geotechnical tests within the project reservoir. And that was mainly to evaluate stability.

20

21

22

23

24

25

We also wanted to look at evaluating the lower maximum elevation for the upper reservoir and reassess the proposed storage capacity. As far as subsidence of the filled former mine shafts, we recommended to develop, again, a formal mine shaft and pit resealing plan. And this was mainly to just kind of take an individual look at each of

1 the subsiding areas, each of the shafts, and kind of tailor-
2 make a fix for those particular shafts and pits.

3 As far as hydrological connectivity, we want to
4 develop a project mine sealing plan; again, this is going to
5 isolate both the project mines from all the adjacent mines;
6 it included grouting major water-bearing seams and
7 discontinuities. Inspecting the sealed West Drift for its
8 integrity. And then intermittently inspecting and grouting
9 the upper reservoir, as needed.

10 We also proposed to develop a groundwater
11 monitoring plan. And again, that is to basically have a
12 network of monitoring stations around the project area to
13 get a better spatial understanding of the groundwater
14 hydrology and connectivity to adjacent mines. And then with
15 respect to the control of soil version, we want to modify
16 Moriah's proposed erosion and sediment control plan to
17 include more site-specific measures for all locations with
18 any ground disturbing activities. And we also want to
19 include a plan for disposal and the use of any excavated
20 materials that came as a result of the project
21 construction.

22 So, I think that's kind of our overview of the
23 geology and soil section. I guess I'll go ahead and open it
24 up to any questions, comments that folks have with respect
25 to geology and soils.

1 MS. NINER: Hi, I'm Robyn Niner with the U.S.
2 Fish and Wildlife Service. I was wondering, maybe this is
3 to you, what are your thoughts on the likelihood of actually
4 being able to seal all the potential connections that maybe
5 the rock -- not just the shafts. What's the likelihood of
6 actually being able to seal all the different connections
7 that are there?

8 MR. MAY: Bernward Hay from WSP.

9 So basically we see, thinking about the
10 connectivity between the New Bed Mine and Harmony mine.

11 So those mines are adjacent to each other and the
12 concern there is that rock water can go from the New Bed
13 Mine to the Harmony mine. Basically we see three
14 connections between the three; one is the West Drift, which
15 is an elevation of around plus-200 LMD, which is around
16 plus-295, and there are two elevations, elevations that are
17 used -- LMD means local mine datum, that they used in the
18 past. So a lot of the maps are using that elevation. So
19 that's number one.

20 From what we have seen, there is no reason to
21 believe that this connection between the two mines is
22 closed; so it might still be open in Moriah. I was
23 proposing to close that West Drift through a bore hole from
24 above, and sealing the drift. That's number one.

25 The second is, potential cracks and falls and

1 zones of weakness between the two mines in the form of
2 cracks in the bedrock; and then the third option, perhaps,
3 would be the glacial overburden, and we don't know too much
4 about that. But potentially, there could be a pathway also
5 for groundwater between those two mines through the
6 overburden, just looking at elevations.

7 So our geotechnical investigation plan has
8 allowances to investigate those latter two pathways by
9 looking at the overburden and looking at the bedrock to
10 determine what the likelihood of pathways between the New
11 Bed Mine and the Harmony Mine.

12 What you've seen in the record that is filed,
13 there are no fault lines that are directly connecting the
14 two mines, so that would be one zone of weakness -- we
15 didn't see that; there's some faults in the area, but
16 nothing really that cuts right across these two mines. So
17 again, we anticipate that we can answer that question more
18 fully once the geotechnical plan has been implemented.

19 MR. MILLARD: Jim?

20 MR. BEECHAL: Jim Beechal. Albany Engineering.

21 Can you just comment on the elevations of the New
22 Bed Mine versus the Harmony Mine?

23 MR. HAY: The New Bed Mine, the water level --
24 you're talking about the potential connectivity between
25 those two mines?

1 MR. BEECHAL: Yes; the fact that New Bed is
2 substantially higher than the Harmony.

3 MR. HAY: Yes. I would have to look back in the
4 record to give you the exact elevation; but what I've seen
5 in the maps, the water level in -- the New Bed Mine. Let me
6 look.

7 So the approximate water elevation in Roe shaft
8 was given as 1,070 feet; and then the water elevation in the
9 Harmony Mine was at about 1,083 feet. So based on the water
10 elevation, it looked very similar to me. So when you look
11 at the thickness of the glacial overburden and the land
12 elevation of the area, the thickness of the glacial
13 overburden being up to, I believe it was 350 feet. So in
14 theory, without knowing exactly how thick it is in various
15 places, clearly there's a lot of topography there, and it's
16 possible that the overburden is not as thick between those
17 two mines; and it's possible that you have a bedrock sill,
18 which is substantially higher between those two, but we
19 don't know that.

20 So if you have a bedrock sill, that it's high
21 enough so that you don't have that kind of connectivity,
22 then you wouldn't have that third pathway that I mentioned
23 earlier; in other words, the overburden being a potential
24 pathway. That would come out in the geotechnical
25 investigation, if you did a seismic survey, a seismic

1 fracture survey in the area, then you could pick that up
2 easily. So that would be something to explore.

3 MR. BEECHAL: I guess if you wanted to find out
4 the bulk of the mine, the New Bed Mine, where the path area
5 is,
6 is substantially higher in elevation than the Harmony Mine.

7

8 MR. HAY: Okay. We can look at that in more
9 detail.

10 MR. MILLARD: Anybody else for questions on
11 geology and soils? Marc.

12 MR. MIGLIORE: Just to clarify, you're saying
13 that the water levels in the two mines that Jim mentioned,
14 the Harmony and the New Bed Mine are similar? However, the
15 topography, the terrestrial aspects are different. That's
16 what I got.

17 MR. HAY: Yes, Basically the maps were filed; it
18 says the water level in Roe shaft is about 1,070 feet, and
19 that's LMD. And when I look at the Harmony Mine the water
20 level there is 1,083 feet. So to me that means they're
21 basically similar. So maybe there's some discrepancy in the
22 water elevations that would need to be -- that's the
23 information that I have on filing.

24 MR. MILLARD: Did you want to request
25 clarification on anything else that we have in the Draft EIS

1 at this time? Are there any questions that you have?

2 MR. HAY: Well, one question that I had pertained
3 to the reservoir capacity, so we did some recalculation of
4 that. So that would be some clarification that we would
5 like to come up with. Perhaps we don't have all the
6 information, all the data; but based on the information that
7 we have, calculating the surface area, calculating the
8 anticipated thickness of the individual mine field, as well
9 as the Harmony, we come up with a different reservoir
10 capacity, and we would like to have some clarification.
11 Perhaps we are missing some information there that is not
12 filed, or perhaps we interpret information differently than
13 you are interpreting.

14 MR. BEECHAL: To respond to that, we basically
15 used the water recovery records after they shut the mine
16 pumping down, and recorded the elevation periodically
17 through the years, and correlated that volume change to the
18 predicted mine change. Our mine engineer originally had all
19 of his mine volumes from his excavation, and correlated that
20 to effective water level at recovery. And that correlated
21 well to the mine.

22 MR. HAY: The way we calculated that is two ways,
23 actually. We looked at the footprint of the two mines --
24 the reservoirs, that is -- the reservoirs in the two mines,
25 so that gives us the acreage, and then we looked at the

1 anticipated thickness of each individual mine and then
2 calculated that. That gives you acre-feet, so we come up
3 with a different volume there.

4 Then we also looked at, as a second approach, try
5 to back calculate using Patrick Ferrel's total volume
6 estimate of about 12,000 acre-feet of groundwater in the
7 ground, and try to account for that, given the footprint of
8 the entire old bed mine, the entire New Bed Mine -- sorry,
9 the entire Harmony Mine, part of the New Bed Mine which is
10 only partially flooded; as well as the Welsh mine, as well
11 as the 21 Pit. And try to back calculate, making certain
12 assumptions; and we can talk about these assumptions, to
13 then back into the volume that may be available.

14 So again we come up with a different volume, and
15 if you can clarify that, that would be great.

16 MS. NINER: Robyn Niner again. Why are there not
17 locations about where the ground-disturbing activities are
18 going to occur now? Why are basic above-ground site plans
19 not yet available?

20 MR. BEECHAL: There is no above-ground site
21 disturbance except at the footprint of the main shaft.

22 MS. NINER: So why are there not - so that
23 additional request for information was understood where,
24 listing of ground disturbing activities are.

25 MR. BERNICK: Andy Bernick.

1 I think the question there was for the ceiling
2 West Drift. There would probably need to be some --
3 depending on where you had the site to drill the bore hole
4 to fill that crosscut. There's a possibility that there
5 would be some ground disturbance.

6 And then there would also be likely some ground
7 disturbance in resealing some of the subsiding shafts
8 elsewhere in the project vicinity. I think that's what we
9 were getting out with that.

10 MR. MAY: If I can add that. It's a good point,
11 when you can, because when the individual shafts are being
12 refilled and rebilled there would have to be some
13 excavation first; you've got to place that material next to
14 it, assume before you refill it; but then that should all
15 come out in the resealing plan, the detailed resealing plan,
16 that would specify exactly how it's being done. Based on
17 the record, each individual shaft is filled in a somewhat
18 different manner, so someone understanding of how it was
19 done and how it is to be done properly in the future; would
20 need to occur, that would then determine what needs to be
21 done in terms of excavating material, and then place it next
22 to it, and then refilling it, so. But that would be again,
23 another ground-disturbing activity in certain places.

24 MR. MIGLIORE: But I also take your point that as
25 far as permanent project facilities, there are very few.

1 MR. HAY: It would have a very small footprint in
2 terms of actually surface -- that's correct.

3 MR. MIGLIONR: Right.

4 MR. BERNICK: I think on the site visit today we
5 will probably see those locations.

6 MR. MERRILL: One question. Jim Merrill.

7 What is the connection at the existing -- for
8 transmission? Will there be an expansion of that existing
9 connection?

10 MR. BEECHAL: No, there's no -- at that location
11 would be a transformer and a connection to the existing
12 line. It would not be a large expansion there beyond perhaps
13 a 50x50 foot area, within the existing area.

14 MR. MILLARD: Anybody else for geology and soils?
15 Then we'll move on to the next resource area. Okay.

16 So, next up is aquatic resources. We'll go
17 through this a little bit quicker. Our concern here was
18 water quality in local streams. There's of course this one
19 tributary that runs through the proposed project area that
20 leads to a larger tributary of Lake Champlain down below.
21 What we want to look at are issues that would avoid surface
22 water impacts; and that would be during dewatering of the
23 project mines for construction and also during project
24 operation, with controlled releases of excess groundwater
25 having to be continuously pumped out.

1 Proposed measures from Moriah included monitoring
2 water quality at the Don B outfall, which is right adjacent
3 to Tributary C86-5; and along that tributary during
4 construction and for the life of the project. And the
5 proposal also included treating any water not meeting NY DEC
6 water quality standards.

7 Our recommendations were again to develop a
8 monitoring plan, develop a formal water quality monitoring
9 plan which would include all the parameters proposed by
10 Moriah: so temperature, pH, conductivity, turbidity, DO, and
11 some of the metals there that you see at the end. We also
12 saw a benefit to adding PCB monitoring and then also wanted
13 to modify the duration of the monitoring treatment to just
14 one year prior to construction, during project construction,
15 and then for three years during project operation. Of
16 course there would be an opportunity to extend that
17 monitoring if necessary to evaluate at the end of each three
18 year period.

19 So, that's what we came up with. If anybody has
20 comments or questions along those lines? Marc.

21 MR. MIGLIORE: Marc Migliore. M A R C. Last
22 name, M I G L I O R E. The discharge water from the
23 construction-operation of the site, industrial discharge
24 requires DEC --.

25 One of the questions I had when you talked about,

1 Jim, the recovery of water; they kept records, and what the
2 groundwater input would be when it is -- when that water
3 that, the water that fills the mine right now and is pumped
4 out -- does it correlate, does the recovery correlate with
5 the existing outflow, surface water outflow, with the -- I'm
6 not a hydrogeologist -- but the expectation that removing
7 all that water in there may cause an increase in inflow into
8 the mine, and during operations would be a different water
9 increase or decrease, outflow.

10 MR. BEECHAL: What we understand is that during
11 the life of the mine -- that occurred since about 1920 --
12 that approximately 250 gallons -- the exact number I can't
13 remember exactly -- being discharged from the mine at all
14 times. And that was actually being used by the local
15 municipality as a water supply.

16 The rejection that Pat Ferrel, the engineer made
17 with the assumption there was approximately 250 gallons of
18 inflow, as to what the elevations would be at certain
19 times, correlated very well; and the prediction of when it
20 would start overflowing to the surface correlated very well.

21 So from our understanding of the records, we see
22 that inflow as being relatively consistent based on simply
23 precipitation coming down through the overburden, and we
24 would not expect that to change significantly.

25 MR. MIGLIORE: Another regarding the treatment of

1 water: From what I can recall from reading over this
2 material, there are elevated levels of iron and manganese --
3 actually a water quality standard, that would need to be
4 treated and returned.

5 Considering it's an iron mine, that sampling that
6 was done -- probably at the surface -- is there a monitoring
7 protocol that, you know, as you go deeper in the mine and
8 you're able to access different elevations of water with
9 different influences of mineral content? How can we do that
10 prior to construction in order to satisfy the criteria of
11 the permit to know that if there is a higher level of
12 manganese or iron or other minerals encountered that it can
13 be treated? That meet the permit.

14 MR. BEECHAL: Good question.

15 All we know is historically different levels were
16 actually below your state's drinking water standards at that
17 time. I can't comment on whether they're still below the
18 drinking water standards today.

19 I do know a similar extraction at the Fisher Hill
20 mine, where the shock incarceration facility is, does very
21 minimal treatment, I recall, of that water. And that is an
22 iron mine as well.

23 To answer your question directly, how do we know
24 that the water at depth, as they're starting to pump that
25 out, doesn't have a higher concentration because of its

1 contact with the iron in the mine. Just thinking this
2 through.

3 I doubt whether there is that much more dissolved
4 iron in that water because there's very little oxygen down
5 there. I think to be safe you would have to make sure you
6 designed a facility, if you allowed for some elevated
7 concentrations of iron and manganese to be treated out.

8 Those are not difficult treatment mechanisms, so
9 I think to answer your question, we should be conservative,
10 and assume that we have to remove more iron than perhaps we
11 think we do.

12 MR. MIGLIORE: Yes. Because we have to issue a
13 permit before. So we have to be sure.

14 You mentioned it, have there been any discussions
15 with the town on perhaps using some of the water for water
16 supplies?

17 MR. BEECHAL: Yes, the town has expressed
18 interest in taking the water and replacing their existing
19 surface water source. Which apparently is problematic. We
20 have not included that in -- neither encouraged or
21 discouraged it.

22 MR. MIGLIORE: Yes.

23 MR. BEECHAL: I think when the time comes, that
24 will be up to the town to decide whether to investigate
25 that. I think they will; historically it's a better water

1 source. They had to go to a surface water source when the
2 mine shut down. It's very expensive and problematic because
3 it is a surface water source.

4 Now having said that, and I'm extrapolating, but
5 if they were to take this it would still be considered
6 somewhat of a surface water source, as far as treatment
7 standards. I don't think the health department or DEC would
8 allow this to be classified as a groundwater source for
9 drinking water purposes. So I'm guessing they would still
10 have to do some treatment; chlorination, what not.

11 I think other water quality parameters would
12 probably be easier to treat than the surface water.

13 MR. MIGLIORE: Do you expect that all of that may
14 be part of the project facility?

15 MR. BEECHAL: It's not a part of the project.
16 The town may decide to go in that direction.

17 MR. MIGLIORE: Okay, thanks.

18 MR. MILLARD: Jim, I -- I'm sorry, go ahead.

19 MR. PINHEIRO: Jim Pinheiro with DEC again.

20 So I don't know if you have another topic on
21 water quantity, but if you could go back to the map that you
22 had up earlier.

23 So there are a couple small trout streams that
24 come, exit that project area to the south, but I didn't know
25 if there's any influence on the quantity of water in those

1 trout streams coming from the lower reservoir, if they're
2 essentially overflowing through overburden and being those
3 smaller streams.

4 I'm just asking that question.

5 MR. BEECHAL: The overflow is occurring just
6 above Joyce Road into that Tributary 6 -

7 MR. MILLARD: C86-5, yes.

8 Which is right through here.

9 MR. PINHEIRO And that's the only overflow that
10 we're aware of. There is an overflow from the New Bed Mine
11 at Roe Pond. So there is a discharge there that is obvious.

12 MR. PINHEIRO: But the only thing from the lower
13 reservoir is --

14 MR. BEECHAL: The lower reservoir is well below
15 ground level. We're not dealing with any overflow areas
16 there, seepage areas.

17 MR. PINHEIRO: That would be my concern. There
18 are some treat streams coming from that area, from Silver
19 Hill Road down towards -- if there was a surface overburden
20 connection, there could be groundwater flow coming from the
21 mine to the actual stream going towards --.

22 MR. MILLARD: You're talking about down through
23 here.

24 MR. PINHEIRO: Correct.

25 MR. BEECHAL: I'd like to make a comment on that.

1 There obviously is overburden, this area is all subject to
2 precipitation, and that overburden is transmitting water to
3 the surface. So that's there no matter what. I would be
4 expecting to see that now. So the answer to your question,
5 there's probably some going into the stream; that's why the
6 streams are there, is because of the precipitation. It's
7 the overburden that transmits that water.

8 MR. PINHEIRO: The only reason I ask, if
9 (inaudible) So it wasn't exactly that; some of the local
10 residents were concerned about the drawing of water that
11 they now see in their back yards like what they did when the
12 mines were functional. So they didn't know if there was
13 additional contributions to groundwater through this
14 overflow of the reservoir to that overburden.

15 MR. BEECHAL: We took those comments, and we
16 interpreted those to be different. In the last ten years,
17 there's probably been more events, high flow events during
18 springtime caused by -- and a lot of fairly dramatic,
19 culverts washing out -- be an indication of people having
20 seen the high spring flow or high storm events, rather than
21 certain natural low water back --.

22 MR. MILLARD: We do have a section in the Draft
23 EIS that looks at water quantity. Of course it was based on
24 limited information, because there is no specific gauge
25 data, of course, for Tributary C86-5. So we had to kind of

1 estimate it. But our best estimates show that even during
2 dewatering, volumes will still be well below bank full,
3 below the one to two year return interval. But with the
4 erosion sediment control measures in place, we didn't
5 foresee any physical changes to that tributary, in
6 particular. It didn't make an appreciable change, at least
7 during the construction dewater.

8 And the same would be true during the project
9 operation as well.

10 MR. PINHEIRO: From a water resource standpoint,
11 I'd be more concerned about that thermal impact of a low
12 groundwater recharge rate during the heat of the summer.

13 MR. MILLARD: Sure.

14 MR. PINHEIRO: That would be my larger concern,
15 rather than a higher flow during a bank full event.

16 MR. MILLARD: Yes, and we discussed that as well.
17 Because our concern was, as you get into the depths of the
18 mine, clearly there's going to be a change in temperature,
19 DO is probably going to go to next to nothing.

20 MR. PINHEIRO: Right.

21 MR. MILLARD: And there's going to be that
22 contribution immediately into C86-5, and that I guess
23 historically did hold brook trout, from what I understand,
24 but now there's a more substantial fishery, mostly for
25 browns, I think, down in -- I forget the name of the

1 tributary that leads into.

2 AUDIENCE: Mill Brook.

3 MR. MILLARD: Mill Brook. Thank you.

4 Yes, into Mill Brook. So our concern -- this is
5 for water quality as well; we discuss that a little bit in
6 the Draft EIS.

7 Yes, Robyn?

8 MS. NINER: What's the status of the water
9 quality certification application?

10 MR. MILLARD: It was initially denied, so now
11 there's an opportunity I guess by August 12th to go ahead
12 and reapply or petition that status.

13 MS. NINER: So what is the status of that?

14 MR. MIGLIORE: It hasn't been received yet, but
15 the water quality certification is -- the previous one was
16 denied without prejudice. I suspect it will be applied for
17 by the deadline.

18 MR. MILLARD: Is there anything else on aquatic
19 resources?

20 So the next is, next section here is terrestrial
21 resources and threatened and endangered species, and
22 primarily we're looking at summer and winter habitat for bat
23 species which do include ESA-listed species also, state
24 listed species. The issues that we particularly paid
25 attention to were the clearing of forested habitat during

1 project construction, mainly with respect to formation of
2 the project facilities and sealing former mine shafts and
3 any crosscuts; and also wanted to take a look at the
4 adjacent bat hybernaculum, and any effects that would come
5 from hydrologic connections with the project mines on that
6 bat hybernaculum.

7 The proposed measures from Moriah were to
8 implement of course the erosion and sediment control plan
9 that we discussed a little bit earlier; and also implement
10 bat protection measures and an action plan, that we'll just
11 refer to as the bat plan.

12 Our recommended measures; were modified, the
13 erosion and sediment control plan that was proposed by
14 Moriah, again, for more site-specific concerns. And also to
15 modify the bat plan to include identifying all project-
16 related ground disturbances and tree clearing; to identify
17 the number and location of monitoring devices within New
18 Bed Mine; those monitoring devices to look at environmental
19 conditions, temperature, humidity, water level and so on.
20 Also to develop a protocol to seal the West Drift, again to
21 isolate the project mines from the adjacent mines.
22 Establish a groundwater elevation monitoring station at the
23 reported seep, near the Roe shaft; and identify the number
24 and design of bat exclusion devices for mine openings. And
25 then finally, identify the need for bat surveys at all

1 shafts and pits proposed for resealing. Just to kind of get
2 a sense of what's there before the shafts get sealed up.

3 Okay, so with that, I'll go ahead and open up
4 questions and comments for terrestrial resources and
5 threatened and endangered species.

6 MR. BEECHAL: I can think of one comment.
7 Recently we were aware that the groundwater seepage coming
8 out of a much higher elevation. We might be able to see
9 that today.

10 Our impression is still that absent any
11 involvement, the pine water elevations are going to come up,
12 eventually to the top of 21 Pit, which will increase the
13 water level in the New Bed Mine significantly. So I just
14 point that out as a -- a no-build option if water levels are
15 coming up. And apparently another, emanating at the
16 surface, higher in elevation now, up beyond where it has
17 historically come in to the tributary. Someone just pointed
18 that out to us this year, the spring.

19 MR. BERNICK: Andy Bernick. Jim, is that the Roe
20 shaft that --?

21 MR. BEECHAL: No. This is at the existing
22 discharge stream.

23 MR. BERNICK: Up elevation from that, where the
24 tailings pile is. Apparently it's emanating up higher now.
25 So there's --

1 MR. BEECHAL: Oh, I see.

2 MR. BERNICK: -- second place it's emanating,
3 telling us there's water -- that's where we expect. Higher
4 and higher and higher. It hasn't reached equilibrium, I
5 guess is what I'm saying.

6 MR. BERNICK: That it's the Don B --

7 MR. BEECHAL: Yes, for that area.

8 MR. MILLARD: Don B overflow.

9 Robyn?

10 MS. NINER: We provided a letter already about
11 listed species and the inability for us to initiate formal
12 consultation at this time, given the lack of a lot of pretty
13 important information that would influence the continued
14 existence of the bats in the site. But I just wanted to say
15 that we appreciated and agreed with the issues that were
16 identified that do need to be thought through; and I wanted
17 to make sure that everyone was aware that this is the most
18 significant hybernaculum for most of our wintering species,
19 not only in New York but all the way down to Virginia.
20 It's the largest hybernacula for Indiana bats by far; over
21 80 percent of Indiana bats overwinter in this site, and most
22 little browns, and Northerns.

23 So I appreciate the due diligence that FERC is
24 going to do, as you figure out how we're going to proceed
25 with evaluating the impacts of this project. So, thank

1 you.

2 MR. MILLARD: Anyone else?

3 MR. BERNICK: I had a couple of comments.

4 So as far as identifying resources, the clearing
5 for project facilities and Jim, any information you might
6 have about the location and the size of any clearing that
7 we need to happen for sealing the West Drift, any surface
8 activity there, any access roads. That will be helpful in
9 determining the total acreage and the location in this
10 clearing. That's because I think that was one of the items
11 raised in the Service's recent letter.

12 MR. BEECHAL: Let me respond to that directly,
13 that one question. You probably have others.

14 That West Drift location, we believe we can
15 locate on surface, and it -- for a ways. So I think there's
16 multiple opportunities there for siting a drill rig to cause
17 the least terrestrial damage along that path.

18 I can semi-visualize where it is because I know
19 where Roe Pond is, but I think there's probably
20 opportunities there to site that drill rig to minimize
21 disturbance.

22 MR. BERNICK: Okay. Is anyone from DEC here who
23 could speak to bat monitoring at New Pit today?

24 MR. PINHEIRO: I'll try to recall -- and maybe I
25 shouldn't --

1 (Laughter)

2 MR. BERNICK: No, I assumed we'd be getting
3 written comments, possibly.

4 MR. PINHEIRO: I think for the most part the plan
5 is acceptable. The monitoring, I think could use some
6 tweaks; I think that would be, the drift I got out of -- I
7 got out of Central Office, but they were unable to make --.

8 We'll provide comments on it.

9 MR. BERNICK: And I was also curious if there's
10 current, I think there was some discussion of temperature
11 and humidity gauges that were -- I think water level
12 monitoring, that were somewhat recently established, like
13 within the last few years. So any information on that
14 could be helpful.

15 And also, we used the 2013 data that have been
16 filed on the record as far as the population size.

17 MS. NINER: I can respond to that. So this past
18 winter was our most recent cycle, so it's every other year,
19 and the numbers actually increased again. So we can
20 definitely provide the most recent. And if all bats were
21 counted this year or just Indianas. So we can give you the
22 most recent counts, and definitely for Indianas.

23 MR. BERNICK: Okay. And that would be all right
24 to have in a public document?

25 MS. NINER: That's fine; that's just numbers.

1 Yes.

2 MR. BERNICK: I was also curious if anyone knows
3 if there have been any surveys at any of the subsidizing shops
4 on Solvay property, or there's potential? You know, if the
5 Service or DEC thinks there's potential, that those would be
6 used as overwintering sites.

7 MS. NINER: I don't know that anybody has
8 actually -- I mean --.

9 MR. MIGLIORE: We'll check.

10 MR. BERNICK: No, it looks --

11 MS. NINER: I was going to add that.

12 MR. BEECHAL: We'll check.

13 MR. BERNICK: And then also to speak to the
14 letter that the Service filed recently. Typically, we'll
15 have a technical conference regarding a formal
16 consultation, not request in the information needs that were
17 raised.

18 But at one point I wanted to clarify was that, as
19 far as the -- the letter mentions a number of plans that we,
20 that Staff recommended to include in any license issued; and
21 so those are usually plans that Staff are recommending be
22 included in the license. But we don't consider those to be
23 generating information to do the valuation under NEPA; those
24 would be more of protection, mitigation and enhancement
25 measures.

1 So I was curious if it was in draft copies of the
2 plans that was of interest to review, or if it was more
3 information that -- resulting from those plans.

4 MS. NINER: Correct. It's Robyn.

5 We have several questions about permitting issues
6 or licensing issues and having plans in terms of who
7 determines sufficiency? Who has approval? Who determines
8 that not only the plan is sufficient but that the intended
9 outcome is likely to occur.

10 And so we just have so many questions about how
11 that process would work; so it would be helpful for us to
12 understand that. Who has -- can the licensee rescind it, if
13 the plans are inadequate or unlikely to result in the
14 intended outcome? What happens if a project starts and some
15 of the monitoring triggers go off, can the licensee rescind
16 it then?

17 I mean, those are major, major implications to
18 the project that we don't fully understand what the
19 possibility is. Because if anything goes wrong, being
20 assured that it's not going to happen and it does, then
21 what does that mean?

22 And so any kind of draft plans are extremely
23 helpful, especially if you think they're actually adequate
24 to do what they're intended to do. So draft plans are
25 better than no plans.

1 MR. BERNICK: Well, most likely a technical
2 conference regarding that consultation would be the way that
3 we can start to get at some of this.

4 MS. NINER: Okay.

5 MR. BERNICK: Another item raised in the letter
6 was the effects on summer habitat for bats elsewhere in New
7 York and Vermont, so if there's any data that -- you know,
8 these data aren't usually publicly available or easy to
9 track down, so if there's any data that you'd like to have
10 on the record, or could use an analysis that would --

11 MS. NINER: Okay.

12 MR. BERNICK: Because that's one area that sort
13 of treads into our NEPA analysis, as well.

14 MS. NINER: So there's one published paper that
15 talks about the initial tracking of the bats from Barton to
16 the Lake Champlain Valley that we can get you; but really,
17 it's not thinking about the impact on the habitat but the
18 fact that the bats that are wintering are associated with
19 multiple summer colonies in Vermont and Lake Champlain; and
20 so it's a deterioration of those summer colonies which are
21 essential to reproduce and repopulate the wintering
22 population.

23 So it's just kind of connecting the dots to, what
24 does loss of numbers in the winter mean on the summer
25 grounds? It means loss of colonies. So it's just kind of

1 making that connection; and then hopefully DEC in Vermont
2 will provide a little bit more comment on that as well.

3 But I can send you information.

4 MR. BERNICK: Thank you.

5 MR. HAY: Just one question for Marc. Marc, you
6 mentioned that, I think you said you would be providing
7 elevation data for the mines, the New Bed Mine, right? The
8 question that you had earlier.

9 MR. MIGLIORE: No, monitoring. Which would be,
10 part of would be the water monitoring, water elevations.

11 MR. HAY: Okay, good.

12 MR. MILLARD: Okay, we'll close out terrestrial
13 resources and threatened and endangered species, and then
14 we're on our last official topic area. We'll certainly
15 discuss other things, though.

16 The final one here that we put together was for
17 cultural resources; and our issues were mainly to protect
18 cultural resources at the project and highlight the historic
19 mining character of the project area. Moriah's proposed
20 measures include implementing an Historic Properties
21 Management Plan, which includes the development of the
22 historic-industrial interpretive displays about the mine
23 itself, the commission mine, and the pumped storage
24 development for the project. That's kind of what we had in
25 mind. Or what Moriah had in mind, rather.

1 Our recommended measure was to essentially revise
2 the that proposed HPMP, basically to update the project
3 description, provide more of an overview of the historic
4 background of the area. I'll shoot through a couple of
5 these a little quicker. We also want to include training,
6 cultural resources training of staff, and add more details
7 about the interpretive nature of the historic signs; and
8 make all these revisions in accordance with the Commission's
9 policies.

10 Does anybody have any comments or questions
11 regarding the cultural resources section?

12 [No response]

13 MR. MILLARD: All right, that's a quick one. So
14 anything else, though, there's other aspects of course
15 covered in the Draft EIS that we didn't necessarily go over
16 here today, but anything and everything is on the table for
17 discussion or comment.

18 So if there's anything else that anybody can
19 think of that wants clarification or any input?

20 I do have one question, Jim. I can circle back to
21 the water treatment. I guess it wasn't entirely clear that
22 the capacity of the proposed treatment facility -- I know
23 you said it's a step aeration facility. So there's no real
24 storage of water at any time, right? It's kind of flow-
25 through.

1 So what are the approximate dimensions, and maybe
2 if you know more about the specific location of that
3 facility.

4 MR. BEECHAL: Well, I don't recall the
5 dimensions. It would be at the location where the water is
6 probably emanating right now; that's where the pump
7 discharge would come out, that general area, which is up --
8 we'll see it this afternoon, that's an area that's already
9 been cleared, it's kind of just rock.

10 I would be guessing, 50x50 feet, something like
11 that, you know, besides where they did the discharge,
12 capacity.

13 MR. MILLARD: So the pumping would just be
14 rerouted from the overflow into that facility and then
15 redirected --

16 MR. BEECHAL: Yes. To get separation, just
17 basically you're adding oxygen to water which is oxidizing
18 the iron and manganese, settling it out, and maybe some
19 static -- a device like that.

20 The amounts we've seen, they're not excessive.
21 There'd more than you'd want in your water you're doing
22 laundry with, but they're not excessive as far as water
23 quality.

24 MR. MILLARD: So the concern came up a little bit
25 earlier that as we go into the depth of the mine the

1 concentrations might increase. Is there a point at which
2 there is a viable option for treatment?

3 MR. BEECHAL: I really doubt whether it's going
4 to increase the concentration as you go deeper. I don't see
5 why that would occur, necessarily. There's no oxygen in the
6 water at depth; we're not picking it up. I think, more from
7 an operational standpoint afterwards, that can be more of an
8 issue.

9 I could add one thing, and I'm not asking to add
10 anything to the DEIS, but are you going to be considering a
11 null option, if nothing is done what are the effects? I'm
12 thinking about the New Bed Mine.

13 MR. MILLARD: That is, it's listed as one of the
14 alternatives. And certainly we can elaborate maybe a little
15 bit more with this information, now that you're mentioning
16 it, that might be worth putting in there as well.

17 MR. BEECHAL: I'm not trying to ring an alarm
18 bell, but I just know it's a real issue.

19 MR. MILLARD: Sure.

20 MR. HAY: The groundwater monitoring data would
21 help a lot for answering that question.

22 MR. MILLARD: Yes. That's a good point, so we'll
23 consider that during the Final EIS.

24 MR. SULLIVAN: This is Tim Sullivan, the U.S.
25 Fish and Wildlife Service. The Department of the Interior,

1 including the U.S. Fish and Wildlife Service plans to send a
2 letter to FERC on the Draft Environmental Impact Statement
3 with any additional comments or questions or concerns.

4 MR. MILLARD: Okay. Good.

5 MR. SULLIVAN: We look forward to working with
6 FERC and all the engineering to further analyze the project.

7 MR. MILLARD: Yes. Same here.

8 MR. HAY: I have one question for Tim, for
9 clarification. One question that we came up with by looking
10 at the historic record, with regard to the elevation of --
11 the highest elevation in the Harmony mine. We saw in the
12 old mine maps that the elevation doesn't go much beyond
13 about 900 MSL, feet MSL. So we recommended in the EAS to
14 consider lowering the top of the reservoir by about 200 feet
15 or so, because we didn't see much additional storage
16 capacity.

17 So if you could clarify at some point, if you see
18 additional source with capacity, beyond that elevation, that
19 would be helpful for us to have as well.

20 MR. BEECHAL: Yes. That could be accommodated
21 also, that's required by simply lowering the -- there's
22 plenty of storage below -- lowering the entire elevation
23 down.

24 MR. BEECHAL: Yes. I think your bulkhead is
25 anticipated to be at plus 170 feet, so -- and I think your

1 reservoir currently is planned to be at plus 495, so you
2 already have some capacity for lowering the entire reservoir
3 to a lower elevation. So that could be accommodated.

4 MR. MILLARD: Well, if that's all the comments
5 and questions; again, this isn't the last opportunity. I
6 mentioned written comments; we appreciate those just as
7 much as we appreciate the oral comments. Again, the due
8 date, the 45-day comment period ends on August 19th, so
9 please if you have written comments, go ahead and submit
10 them by then.

11 And if that's all, we'll adjourn the meeting at
12 11:07.

13 [Thereupon, at 11:07 a.m., the morning public
14 scoping meeting concluded.]

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 MINEVILLE ENERGY STORAGE PROJECT

8

9

10

11

12

13

14

15

16

17 Docket No.: P-12635-002

18 Place: Warrensburg, New York

19 Date: Tuesday, July 30, 2019

20 were held as herein appears, and that this is the original

21 transcript thereof for the file of the Federal Energy

22 Regulatory Commission, and is a full correct transcription

23 of the proceedings.

24

Dan Hawkins

25

Official Reporter