

1 FEDERAL ENERGY REGULATORY COMMISSION

2

3 MANAGING TRANSMISSION LINE RATINGS

4 DOCKET NO. AD19-15-000

5

6 TECHNICAL CONFERENCE

7 Day 1

8

9 Tuesday, September 10, 2019

10 8:45 a.m.

11

12 Federal Energy Regulatory Commission

13 888 1st Street NE

14 Washington, DC 20426

15

16

17

18

19

20

21

22

23

24

25

1 PANELISTS

2 Panel 1

3 Joey Alexander, Ampacimon SA and Elia System Operator

4 T. Bruce Tsuchida, The Brattle Group, Inc.

5 Rob Gramlich, Grid Strategies LLC, Working for Advanced

6 Transmission Technologies (WATT), and the American Wind

7 Energy Association (AWEA)

8 Jake Gentle, Idaho National Laboratory

9 Jack McCall, Lindsey Manufacturing Co. and WATT

10 Hudson Gilmer, Line Vision, Inc.

11 Panel 2

12 Swarj Jammalama, Apex Clean Energy Partners

13 Francisco Velez, Dominion Energy, Inc.

14 Babak Enayati, National Grid USA Service Company, Inc.

15 Chunchuan (Charlie) Su, New York Power Authority (NYPA)

16 Howard Gugel, North American Electric Reliability Corp.

17 (NERC)

18 Shaun Murphy, PJM Interconnection, L.L.C.

19 Chad Thompson, ERCOT

20 Panel 3

21 Carlos Casablanca, American Electric Power Company, Inc.

22 (AEP)

23 Dennis Kramer, Ameren Services Company

24 Dede Subakti, California Independent System Operator Corp.

25 (CAISO)

1 APPEARANCES (Continued):

2 Michelle Pivach Bourg, Entergy Services, LLC

3 Rikin Shah, PacifiCorp

4 Mike Wander, Potomac Economics

5 Amanda Frazier, Vistra Energy

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 MR. KOLKMANN: We're going to get started. Good
3 morning and welcome to today's Technical Conference,
4 Managing Transmission Line Ratings. This Conference will
5 explore what's transmission line rating and related
6 practices might constitute best practice and what, if any,
7 Commission action in these areas might be appropriate.

8 We have three panels today and two tomorrow.
9 We'll allow up to 10 minutes for each panelist for opening
10 statements on Panel 1, and up to 5 minutes on the following
11 panels. We will follow this by question and answer.

12 All the materials received from speakers have
13 been posted to the calendar page on ferc.gov and will also
14 be posted on e-library under Docket Number AD19-15. In
15 addition, on August 23rd, staff issued a paper on managing
16 transmission line ratings to help frame certain issues for
17 this Conference.

18 That paper is also available on the calendar page
19 for this event. The first panel will include presentations
20 from, and discussions with National Lab and industry experts
21 in advanced transmission technology to introduce different
22 approaches to transmission line rating.

23 Panel 1 will also discuss the ambient adjusted
24 ratings and dynamic line rating implementation process,
25 current R&D trends, the extent of current use and expected

1 future adoption of these advanced transmission line reading
2 methodologies.

3 Panel 2 will discuss benefits and challenges to
4 DLR and AAR implementation. The panel features a broad
5 array of industry experts, will share case studies, lessons
6 learned, and best practice related to advanced approaches to
7 transmission line rating.

8 Panel 2 will also touch upon DLR's on how DLR's
9 might be incentivized and whether periodic studies of the
10 cost effectiveness of dynamic line ratings on congested
11 lines would be helpful.

12 Panel 3 will discuss whether transmission owners
13 should implement ambient adjusted ratings. The panel
14 features a broad range of industry experts bringing their
15 unique experience, as well as the lessons shared from the
16 prior panel.

17 Panel 3 will also discuss how any requirement for
18 transmission owners to implement ambient adjusted ratings
19 might be reflected in transmission service, both in ISO's
20 and bilateral markets methodology requirements.

21 This panel will also address corresponding
22 changes to ATC calculations, as well as software and
23 communication. Finally, this Conferenced is complimentary
24 to relevant responses to the Commission's inquire on
25 transmission incentives and in Docket Number PL19-3 and in

1 addition to the recently announced workshop on grid
2 enhancing technologies in Docket Number 80-1919.

3 The purpose of that workshop will be to discuss
4 grid enhancing technologies such as those that increase the
5 capacity, efficiency or reliability of transmission
6 facilities. Utilities, RTO/ISOs and other interested
7 parties will discuss how grid enhancing technologies are
8 currently used in transmission planning and operations, the
9 challenges to their deployment and implementation and what
10 the Commission can do regarding those challenges, including
11 incentivizing or requiring the adoption of grid enhancing
12 technologies by RTO/ISOs.

13 These technologies include those to be discussed
14 today, but also include, but are not limited to, power flow
15 control equipment, transmission switching and storage
16 technologies. Speaker nominations and registration forms
17 are now available on the Commission website.

18 I want to thank all of the Commissioners -- all
19 of the participants for being here today for what I'm sure
20 will be a lively and informative day of discussion. I also
21 want to welcome Commissioner Glick who's here.

22 Prior to covering several housekeeping matters, I
23 want to turn to Commissioner Glick and see if he has any
24 opening remarks.

25 COMMISSIONER GLICK: Thanks Dillon, you know, and

1 I want to thank you and the staff for putting together this
2 very important Technical Conference -- both for putting it
3 together, the very helpful white paper. You know, one of
4 the more important essential tasks or capabilities being in
5 government is trying to take something very complex and
6 making it more understandable, especially to those less
7 technically inclined like myself. Line ratings don't come
8 naturally but it's a very important issue.

9 And I'm very -- it's all -- the Commission is
10 hosting this Technical Conference today, it's a very
11 important issue. And you know, if this country is going to
12 meet its clean energy target established by numerous states
13 and corporations, we're going to need a more vibrant
14 transmission system.

15 And part of that is we're going to need more
16 transmission naturally, but also it also means using our
17 existing system more efficiently and that's something I
18 think we're going to take a look at today.

19 Certainly, the Commission needs to consider
20 whether there are alternative mechanisms for establishing
21 line ratings, such as dynamic line ratings and the ambient
22 adjusted ratings that can squeeze more out of the
23 transmission system without impairing reliability.

24 I will be in and out today, to attend a bunch of
25 other meetings, but I hope to sit through as much as

1 possible today and tomorrow, and hopefully learn as much as
2 I can, so thank you very much.

3 MR. KOLKMANN: Great, thank you for your remarks
4 and for helping to frame the issues. I'm going to close
5 with a couple of housekeeping matters. The Conference is
6 being webcast finally. After the Conference, the Commission
7 will issue a request for comments. Please don't bring your
8 food or drinks -- please don't bring food or drink, other
9 than bottled water, silence your cell phones if you haven't
10 done so already. There are bathrooms and water fountains
11 behind the elevator bank on either end of the building.

12 So, we've got a lot of ground to cover in a short
13 amount of time today. With that in mind, we'd like to keep
14 panelists. We'd like to keep comments within the topics
15 laid out for each panel. If discussion begins to stray
16 outside the scope of the panel or outside the scope of the
17 question, we may interject to bring things back to topic.

18 The panelists -- if you'd like to be recognized
19 to speak, please put your name card on its side, any tent on
20 its side. Be sure to turn on and off your microphone and
21 speak directly into it. When you're not speaking, please
22 turn your microphone off. Do your best to avoid a lot of
23 acronyms, recognizing that there are lots. And with that
24 I'd like to introduce FERC staff.

25 MR. KHELOUSSI: Can I say, I think because these

1 microphones will probably remain on, unlike these, so I
2 think you just leave your mic on, but pass it to whoever's
3 speaking. Thank you, last minute change.

4 MR. KOLKMANN: Starting from my left to right,
5 I'll introduce the FERC staff. We have John Rogers, we have
6 Daniel Kheloussi, Tom Dautel, I'm Dillon Kolkman, Jignasa
7 Gadani, Eric Ciccoreti, Al Corbett, Vincent Le, Michael
8 Gildea, Kevin Ryan, Alex Smith and Michael McLaughlin.

9 Our panelists for the first panel, reading in
10 order of their presentation, audience is left to right would
11 be: Bruce Tsuchida, Rob Gramlich, Joey Alexander, and I'm
12 sorry, Bruce Tsuchida is from the Brattle Group, Rob
13 Gramlich is from the WATT Coalition as well as a number of
14 other places, American Wind Energy Coalition.

15 Joey Alexander, who is from Ampacimon. We have
16 Jack McCall from the Lindsey Manufacturing as well as the
17 WATT Coalition, Hudson Gilmer from LineVision, and we have
18 Jake Gentle from Idaho National Lab.

19 With that I'll turn it over to our first
20 panelist, Bruce.

21 MR. TSUCHIDA: Well, good morning. And first off
22 thank you very much for assembling this meeting. We
23 appreciate the opportunity in helping out the panel. This
24 panel will be producing the introduction to the whole
25 three-day or the two-day Conference with its members.

1 And I will be producing an introduction to the
2 introduction to the presentation that I have provided. Is
3 that going to be projected somewhere or?

4 Okay, thank you, if we can jump to slide, the
5 third slide or maybe if there's a -- okay, my presentation
6 will talk about roughly three topics. We're on the third
7 slide named agenda. The first discussion will be what is
8 line ratings? Just to get the concept straight among the
9 audience, and the participants of the meeting.

10 Then we'll talk about what the difference is
11 between static and dynamic line rating. Obviously, ambient
12 adjusted line rating comes in between. We'll also talk
13 about the potential benefits and then the last question is
14 what is missing? So, it will all be an introductory to what
15 we're going to be discussing over the next few years.

16 Slide four -- so, what are line ratings? Line
17 ratings is how much you can pass through a given
18 transmission line -- how much power you can pass through and
19 the transfer capability of any given lines is largely
20 defined by two factors -- the physical capacity of the
21 individual lines is the mic working? And also, the network
22 topology.

23 The physical capacity of the overhead line is
24 basically how much can you pass power through until the line
25 gets too warm? When the line gets warm it expands because

1 of resistive heating and how much space do you need to
2 maintain from the line from touching the ground or touching
3 the neighboring line to keep the line temperature within the
4 annealing of the conductor, aluminum by itself, limiting the
5 aging effects of heating and so on and so forth, which is
6 all technical and engineering stuff.

7 But the important thing is the heating of the
8 line is not only defined by the amount of power that flows,
9 it's also defined by the ambient conditions. So, for
10 example, in a cooler temperature you can potentially heat up
11 the line more, because the ambient temperature will cool
12 down the line.

13 Obviously, when it's more windier, there is
14 cooling effects of the wind, so you can also have that, even
15 if it's the same temperature during the daytime you get a
16 lot of sun heating up the line, so it's probably safe to say
17 that at nighttime you get a little bit more cooling effect,
18 just because there's no direct sunlight at it.

19 That's what defines the capacity of the
20 individual lines, but at the same time the amount of flow on
21 the line, which we will not be discussing a lot today, is
22 also dependent on the network topology.

23 The network topology will actually tell you how
24 much flow is going into each individual line based on where
25 the injection point is and where the withdrawal point is and

1 how complex the network topology is.

2 The technology options that deal with network
3 topology includes the phasing regulators that are in
4 practice today. There's a lot of flexible, alternative
5 current transmission as it's called, the FACTS devices, and
6 there's also topology control, but we will not talk about
7 these technologies and today we will stick to the dynamic
8 line rating, and ambient adjusted line ratings which we'll
9 go on to the next slide.

10 Slide 5, I'll talk about the difference between
11 static and dynamic line rating. So, today's practice of
12 trying to figure out how much power you can flow on a given
13 line is typically done on a static line rating basis. What
14 it does, it uses a very conservative assumption such as low
15 wind, high temperature, high solar radiance, and try to
16 figure out what is the safe level of power that can flow in
17 a given line.

18 Another way of saying it -- it's like saying that
19 in the winter in Boston, where I'm from, you get a lot of
20 snow, so the highway speed is limited to 40 miles an hour so
21 that no one -- or the odds of you getting in an accident is
22 pretty much limited.

23 But we all know that even in the same wintertime,
24 if it's a nice and sunny day and the road is dry, you can
25 drive safely at a lot faster speed than 40 miles an hour.

1 But when it's snowy, you may go down to 40. The effect of
2 static line rating today is similar to saying that the
3 entire winter the highway limit is at 40.

4 Dynamic line rating adjusts this limit based on
5 the ambient conditions. The ambient conditions can be the
6 line temperature by itself, which controls the line sagging,
7 or you can measure the line saggings, or it can be measured
8 by the ambient conditions like the temperature, the
9 humidity, the solar radiance, or the winds.

10 All of those effects that have a cooling effect.
11 And there's a range -- there's a wide range of applications
12 between the static line rating and the dynamic line rating.
13 You can just look at wind, you can just look at temperature,
14 you can just look at temperature and humidity combined and
15 there's multiple ways of doing it.

16 There are also multiple ways of cutting it. You
17 can look at it on a minute-by-minute basis, you can look at
18 it on an hourly basis, you can look at it on a daily basis
19 -- so, there's a whole wide-range but let's just stick to
20 the bookends. There's static where you say the highway can
21 only be driven at 40 miles an hour because we're
22 anticipating that should it snow, that's what you need.

23 Then there's dynamic line rating that says today
24 it's sunny so you can do 60 miles, tomorrow it's raining, so
25 let's bring it down to 55 miles, the day after it's going to

1 be very, very windy, although it's sunny so we're going to
2 bring it down to 50, and whatever it may be.

3 Now, as an example of the benefit of dynamic line
4 rating is that the high wind can actually lead to a higher
5 cooling effect which means you can potentially send more
6 power to a given overhead line. This is very beneficial,
7 especially in the Midwest when there's a lot -- where
8 there's a lot of wind being developed, because when there's
9 strong wind the wind turbines are producing more power, and
10 you want more transfer capability on the line.

11 Some of the DLR studies that my colleagues here
12 on the panel have -- may discuss in Europe show that in
13 general, DLR implementation will actually reduce the wind
14 curtailment by roughly 15%.

15 Going to slide 6 -- there's a lot of
16 commonalities and differences between static and dynamic
17 line rating. They both use conservative assumptions,
18 because even if given a certain condition of the power flow,
19 the wind radiance, the temperature and whatever else there
20 is, you don't want to be overly optimistic about it because
21 the last thing you want is the line going out.

22 The maximum allowable temperature is likely going
23 to be the same. If it's different, there's a question
24 whether you're measuring things correctly, or whether you're
25 judgment is correct or whether you trust the experience that

1 you've done, you've had in the past versus the theoretical
2 limitation -- that's a different discussion that I will not
3 like to go into today.

4 But there are differences. Dynamic line rating,
5 unlike static line rating, will require individual line unit
6 specific data, measured along the line at the corridor. It
7 applies different conditions to each of the individual lines
8 because the lines are located at different locations, the
9 weather conditions differ and the loading of the line -- the
10 amount of power that flows differs.

11 Just as an example, the DOE ONCOR study that was
12 done in 2013-2014 timeframe, assumes that the DLR can
13 increase the line ratings by 5 to 25% compared to static
14 line rating. But because DLR is variable, you need a
15 forecast to implement it into the operations plan. That is
16 something that's new, and that's something that's not
17 practiced today under the static line rating.

18 Slide 7 will talk about the benefits. In
19 general, when we talked about the sample projects and the
20 pilot's that done worldwide, they tend to indicate that the
21 benefits are in the tens to 100's of millions of dollars.
22 That is very, very similar to the operational benefits that
23 the RTOs bring.

24 PJM assumes that they are saving 100 million
25 dollars on ancillary services -- they call grid services.

1 They also assume that the benefits of nodal congestion
2 compared to the transmission relief is about 100 million.
3 MISO similarly estimates there's about a 60 million dollar a
4 year savings from ancillary services.

5 Dynamic line rating, just because it increases
6 the line rating of a given line, tends to reduce congestion.
7 The U.S. annual congestion cost is assumed to be in the 6
8 billion dollar range. The DOE/ONCOR study that estimates
9 that if you can increase the line ratings by 10%, most of
10 the congestion in the U.S. will be gone.

11 Entergy confirms that -- although their dynamic
12 line rating test is mostly in the offbeat time, that the
13 average line rating -- dynamic line rating will increase the
14 capacity by 10% or so, so all together, we're talking about
15 a significant potential of benefits.

16 It helps with renewable integration. Also, as
17 the pace of decarbonization or 100% renewable energy comes
18 in and that accelerates you may not have enough time to
19 build additional lines, or the wind pattern may change over
20 time and therefore building a new line may not be the long
21 term solution.

22 So, it helps with renewable integration. It also
23 helps with keeping up with the pace of change and finally,
24 it is not a competition to building new lines. It's a
25 compliment. When you build the new line, the new line is

1 typically an EHB line, very high voltage line that has a lot
2 of capacity. But the underlying system may not allow that
3 high voltage line to carry all the -- or to produce all the
4 benefits that it's supposed to.

5 But if you can add these line ratings and other
6 operational technologies for the underlying lines, that will
7 actually help you get more benefit from the new line. And
8 you can also use it for bridging the gaps. For example, if
9 it's going to take you five years to get the environmental
10 assessment permission, you can use these technologies for
11 the first five years until the final project comes in, or
12 you can use it during the outages of construction, or even
13 during the maintenance outages.

14 And there are other benefits that the panelists
15 here will talk about as we go. Finally, the question is if
16 it's so good, why is it not being widely deployed? So, one
17 thing is that these technologies are relatively new. We did
18 not have them 10 years ago.

19 Now, that doesn't mean that you cannot deploy
20 them. The next question is are the incentives aligned?
21 First off, the congestion costs are specifically passed
22 through to the end customers, so the operators and the
23 transmission owners may not have the proper incentives to
24 relieve congestion or reduce curtailment.

25 The industry typically awards maintaining

1 reliability over operational efficiency, so if the industry
2 sees that changing operations is taking a risk, that's also
3 going to work against the operations. And the transmission
4 owners who -- especially are gaining sufficient returns
5 through larger investments, may not want to look into these
6 relatively smaller projects because they know that they can
7 make more money through the larger investments.

8 So, should there be a benefit sharing mechanism?
9 We talk about these benefits and also the incentives in a
10 white paper where there's a link to it on this slide, but my
11 colleague Rob, who will follow, will talk a little bit more
12 about these incentives.

13 MR. KOLKMANN: Thank you Bruce. We'll next turn
14 to Rob Gramlich.

15 MR. GRAMLICH: Alright thanks Dillon, thanks
16 Bruce and thank you to Commissioners and staff who created
17 this event and for your interest. We're thrilled this is
18 happening for all the benefits and reasons that Bruce
19 described. We think there's a lot of opportunity to deliver
20 more energy over existing wires and that's very important
21 for consumers and for reliability.

22 I am appearing here today on behalf of Grid
23 Strategies, working for Advanced Transmission Technologies.
24 The companies are listed. Many of them are on the panel.
25 The American Wind Energy Association, ACOR, Americans for a

1 Clean Energy Grid and Advanced Energy Economy.

2 I'm going to give your brain a little break
3 before we get four technical panelists following me to talk
4 just a little more general policy and the importance of this
5 issue, and some of their kind of regulatory policy
6 considerations. Generally, the point I'm trying to make is
7 the demand for transmission delivery is high and rising and
8 the supply is not growing, so any way we can deliver more
9 over existed wires is going to be more beneficial which is
10 essentially what Commissioner Glick said.

11 If I were back in the role of a Commissioner's
12 advisor, I might modify a couple of words that the
13 Commissioner said. He said without impairing reliability
14 and I would strike that and replace it with while improving
15 reliability as well. So, just a minor detail some of the
16 other panelists will get into that.

17 So, on this point about demand for transmission
18 increasing, we see congestion on the rise again. It's a
19 little bit cyclical as folks know. This Commission was very
20 involved in getting multi-value projects in the Midwest,
21 similar projects in SPP and then you consider ERCOT,
22 California, other places. You know, we built a lot of
23 transmission in the last 10 years and that reduced some
24 congestion and curtailment.

25 Well, I don't see those big lines happening now

1 or really in the works, and yet a lot of the resources are
2 being developed in some of those areas and so these
3 congestion costs that were below 4 billion in 2016 and over
4 5 billion a year in 2018, I see this trend increasing. This
5 is just the RTO areas, if you consider the other third of
6 the country congestion is you know, maybe closer to the 7-8
7 billion dollars a year range at this point.

8 There is obviously a resource transition going
9 on. Wind and solar are the low-cost energy sources. This
10 is the Lazard slide and I'm sure you've seen before, but
11 when we have wind and solar unsubsidized in the 30's and
12 40's, there's going to be a lot of demand for these
13 resources, and they tend to be located in different places
14 which is often remote from load.

15 And you know, with retirements and new
16 generation, or really any time you have a capital turnover
17 in the generation stock, you're going to have generation in
18 different places, and this particular time in history is no
19 different, particularly for a lot of the wind development in
20 the Midwest, you'll see there, but even within sub-regional
21 areas, let's say upstate New York to downstate New York, or
22 within some of these regions you have the same dynamic --
23 that the wind projects are not in the middle of the city
24 obviously.

25 So, with all that generation development,

1 certainly those investing in renewable energy pay a lot of
2 attention to congestion and curtailment. This slide -- and
3 I guess for those on the webcast, this is slide 6 with the
4 heading being, "Growing Need for Transmission Delivery
5 Capacity" that shows wind curtailment which again, it does
6 kind of go up and down over time.

7 And you see it, you know, it spiked earlier in
8 this decade, but then a lot of those large scale regional
9 transmission plans came in, MVP plans were energized et
10 cetera, but again, that trend is starting to reverse now and
11 unless we get an MVP 2.0 which is something I hope we do,
12 and other transmission planning initiatives going, I think
13 we're going to see growing congestion and curtailment.

14 And just to say I think most panelists here are
15 going to say look, we need to expand the grid for a lot of
16 reasons as well, and in fact if you think more broadly, if
17 you look at more than 5-10 years, we're really going to need
18 a macro grid, and so we not only need to look at Order 1000
19 for regional planning, but we need to look at interregional
20 planning, and in fact we need to look at inter --
21 interconnect planning.

22 So, but obviously it's very hard to build such
23 lines, we don't even have a regulatory structure anywhere
24 near up to the task of this type of macro grid, so hopefully
25 we'll get there someday and hopefully we'll be looking at

1 intraregional planning within RTOs to connect remote
2 generation to load, but again, even those lines are very
3 difficult to permitting the cost allocation, the planning,
4 all major challenges.

5 That leads us back to we have this great need for
6 transmission delivery capacity, and we have somewhat limited
7 supply and difficulty expanding that supply. So, any way we
8 can squeeze more power over existing wires, will be
9 beneficial for consumers.

10 These are a set of technologies, the WATT
11 Coalition, that I'm here representative as power flow
12 control, topology optimization and dynamic line ratings
13 companies, you could say storage is transmission fits in
14 that category. There could be potentially others, we're not
15 trying to limit what is included. We provided a definition
16 in the Notice of Inquiry proceeding -- the other related
17 docket, to trying to be open to whatever technologies are
18 out there or may come along, but these are certainly three
19 technologies that are ready to go and as you'll hear from
20 the next -- the other panelists, they're being deployed more
21 rapidly in other countries, in other places.

22 So, that point gets to this other issue of well,
23 if they are ready to go, and of course, some of these
24 technologies -- I mean dynamic line rating was well-known 10
25 years ago, but it's the implementation, the technologies and

1 the particular approaches to it that has changed
2 dramatically, and these other technologies are newer, so
3 when Congress passed the -- in the Energy Policy Act of '05
4 and talked about expanding our use of existing wires, some
5 of these technologies were not really ready to go, and the
6 Commission didn't hear a lot about any of these technologies
7 at that point.

8 But now in other countries and other places, a
9 lot of these technologies are being widely deployed and so
10 you kind of scratch your head and you say well why not here?
11 Why are they not widely deployed in the United States? And
12 to me, perhaps its my economics bias, it's a fundamental
13 incentive problem, not an unsolvable one, but it's an issue
14 where I mean the famous, you know, if you're an economist
15 and you start and you study regulatory -- regulated
16 industries, on day one the first thing you'll hear about is
17 the Averch Johnson effect, and that's just basically if you
18 earn your money from a return on invested capital, you're
19 going to want to expand that capital -- expand the rate
20 base.

21 And of course, that's how transmission is
22 regulated in this country. So, if you're comparing, you
23 know, a large new line to some of these technologies that
24 costs two orders of magnitude less -- 1%, you know, it's
25 just obviously less in your interest to do the cheaper work

1 approach cost technology.

2 And you know, and there's all this debate,
3 including in that other proceeding about whether we're
4 talking about performance base rates or incentive regulation
5 and to me that's -- it's just all regulation is incentive
6 regulation, that's sort of a meaningless question, yes, you
7 have you know, cost of service regulation of formula rates
8 as one set of incentives, you know, a shared savings
9 approach as another set of incentives, so any regulatory
10 approach has its own incentives, so yes, we're definitely
11 talking about the incentives that are in the regulatory
12 structure.

13 And then the last quote there is a Nobel prize
14 winning economist who look at the U.K. grid and their
15 approach to electricity where a lot of these technologies
16 are being deployed and found that the different incentives
17 there are leading to deployment of a lot of these
18 technologies and reducing congestion costs.

19 So, there are other ways of doing things. A lot
20 of the groups here have been looking at what Australia does,
21 what the British system does, and finding there are some
22 lessons, and so once again, I didn't know until yesterday
23 about this November conference, but I'm thrilled to hear
24 about that where I think incentives will be more the focus.

25

1 So, I'll maybe wrap that section up now, but we
2 can talk more at that time. But it does seem like that's a
3 real opportunity. And of course, you might also say it's an
4 obligation if you look at the Federal Power Act Section 219
5 B-3 it talks about specifically about, increasing the
6 capacity and efficiency of existing transmission facilities.

7 Of course, there's a lot more expelld on
8 expanding facilities and FERC's implementation with 679 and
9 all the later orders of the last 15 years have been really
10 related to grid expansion but there is this section there
11 that in my view anyway, was never addressed.

12 So, again, in that other proceeding and perhaps
13 for the subject of the November conference, the WATT
14 Coalition, and some of the other parties I mentioned do have
15 a specific proposal on sharing the savings. Basically,
16 ideas -- if you look out and you can estimate that the
17 congestion would be reduced by X, well let's let the utility
18 keep 25% of X.

19 So, that's the basic concept and that's being
20 discussed and debated in that notice of inquiry proceeding.
21 And then I'll just close with this last point. I was
22 pleased to see some of the panel topics for later in the
23 day, but increasing the transparency -- this is something
24 I'm hearing more from women solar developers, increasing the
25 transparency will be very important. Currently, line rating

1 methodologies are very opaque and inconsistent. Some are
2 even saying that whether it's opacity and inconsistency,
3 there's room for discrimination and manipulation of those
4 ratings, so getting more transparency on the methodology
5 will help all parties.

6 It's certainly consistent with the tradition of
7 this Commission in promoting open access to make available
8 transmission capacity available to loads, so that more
9 market participants know and can trust about what's out
10 there, what capacity is there and for example, what are the
11 reasons for congestion?

12 Is it a thermal limitation or stability
13 limitation? Obviously, the former is more conducive to
14 dynamic line ratings. So, I think this Commission can play
15 a role partly through today. I think NERC, IEEE and others
16 can play a role in helping with that line rating
17 methodology. I'll leave it there, thanks.

18 MR. KOLKMANN: Thanks Rob. We'll next turn to
19 Joey Alexander from Ampacimon and we'll load up your slides.

20 MR. ALEXANDER: Thank you Rob. Thank you,
21 Dillon. So, as Dillon mentioned I'm Joey Alexander with
22 Ampacimon and I'll tell you just a brief bit about
23 Ampacimon. There's a DLR solutions provider based in
24 Belgium.

25 Had quite a bit of success and have recently

1 moved into the American markets two years ago, back in 2017.
2 Ampacimon's largest deployment is with a utility called
3 Elia. So, a little bit about Elia. Elia is Belgium's TSO.
4 They have over 8,700 kilometers of transmission lines, a
5 peak load of 13,000 megawatts in the wintertime and
6 important to this case, they operate on a two-day ahead
7 trading market with France to the south and Netherlands to
8 the north, okay?

9 So, a big question here is why did Elia decide to
10 implement DLR? So, they were under a lot of pressure and
11 time constraints in 2014. In the summer of 2014 Elia was
12 going to have to shut down three of their four nuclear
13 generation plants, and that represented the loss of about
14 3,000 megawatts, and that was due to various technical
15 reasons.

16 Elia had an existing import capacity from France
17 and Belgium of around 3,000 megawatts, so one-to-one there
18 was a replacement for that generation, however, during the
19 winter peak load, they saw that that import capacity was at
20 a higher risk than their previous nuclear generation
21 capacity would have been.

22 So, in order to be with that, they wanted to
23 further increase the capability to import power from France
24 and Netherlands. And they also wanted to increase the
25 capability to pass those flows from north to south

1 throughout the country to make sure that the entire country
2 could be -- could make use of the extra power, okay.

3 So, what Elia decided to do -- they had already
4 piloted our solution, Ampacimon's solution -- oh, I'm sorry.

5

6 MR. KOLKMANN: Part of the reason we're in this
7 room is because the Commission room is under construction,
8 so we're going to hear some light construction.

9

10 MR. ALEXANDER: Do I need to talk louder?

11 MR. KOLKMANN: I think you're okay.

12 MR. ALEXANDER: Good, okay, I'll talk a little
13 bit louder. Alright, so Elia had already piloted Ampacimon
14 DLR technology back in 2011, so it had proved out that it
15 worked for them, that it was accurate. And since they only
16 had a few months before the winter peak load, they had to do
17 something quickly in order to increase the import capacity
18 from France and from the Netherlands.

19 So, all in all they deployed DLR over 35 lines,
20 167 devices, ranging from 70 to 360 kilovolts. So, if you
21 look at the top here, or look at the whole map, everything
22 that is either purple or red are lines that are equipped
23 with DLR. So, their objective was to put DLR on any and all
24 lines that were constrained at different times.

25 So, lines that imported power from the

1 Netherlands or down here from France, they wanted to make
2 sure they could implement a two-day ahead forecast of the
3 DLR because that's what that market traded on, it's a
4 two-day ahead capacity price.

5 In addition to that, they were bringing on new
6 wind generation from offshore. They had some capacity to
7 bring that generation on, but they knew that they were going
8 to have to curtail a big part of that wind generation once
9 it was online. So, DLR was implemented here as well to
10 increase the capacity there and avoid the wind curtailment.

11 Another important part of this deployment was a
12 comparison that they did between DLR and ambient adjusted
13 ratings. So, we'll look at -- next we'll look at how the
14 DLR solution works. That comparison of ambient adjusted
15 versus DLR, and also the final results of whether or not
16 they were able to increase the capacity that they were
17 looking to.

18 And by the way, there's Elia has a website
19 dedicated to this project. You can go there, and they have
20 a pretty good depth of information there on this deployment
21 and what was done and how it's currently working, okay.

22 So, first just quickly how DLR works for my
23 specific company. So, there is a sensor that is mounted on
24 the conductor. Typically, at least 5% away from the tower,
25 but otherwise it doesn't really matter where you put this

1 sensor. It's equipped with three accelerometers, very
2 sensitive accelerometers that are able to pick-up on small
3 vibrations in the conductor.

4 And those vibrations allow us to measure both
5 line sag and perpendicular wind speed, so two very important
6 characteristics to dynamic line rating. In terms of how
7 this device is powered, it has a current transformer that
8 goes around the conductor, so it's basically just powered
9 off the conductor's magnetic field so there's no need for a
10 battery or solar power.

11 It solves very quickly in about 15 minutes. You
12 can choose to use either 4G LTE to communicate or satellite
13 to communicate if you're in some really remote areas, like
14 some customers in Canada who don't have cellular everywhere.

15 We use IEEE-738 and the CIGRE Technical Bulletin
16 207 in order to calculate realtime DLRN, also to forecast
17 DLR. And then that information is fed into Ampacimon's HMI
18 or the data is integrated into the utility's SCADA/EMS
19 system through TASE2 or DNP3.

20 Okay, so the biggest question I get about our
21 product is how does a vibration sensor tell you about the
22 sag of a line? It doesn't make a lot of sense when you
23 first think of it. And the analogy I think, that works best
24 for me, is to imagine taking out your shoestring and then
25 holding it tight between your hands.

1 If you pluck that shoestring, it's going to
2 vibrate a certain frequency. If you loosen it a little bit,
3 pluck it again, it's going to vibrate at a different
4 frequency. And fundamentally, that's how vibration sensing
5 let's you ascertain how much a line is sagging --
6 differences in frequency vibration.

7 And more importantly, if you look at the science
8 behind it, you know, the equation for frequency relating to
9 line characteristics and then sag relating to line
10 characteristics, and you solve those two simultaneously, you
11 come out with a value for sag that is only dependent on the
12 frequency of vibration and the constant force of gravity.

13 So, we can detect sag by knowing the vibration
14 alone. It gets a little bit more complicated than that
15 behind the scenes, so we take the frequency record. There
16 is a wave form and a harmonic analysis of that data in order
17 to determine what the sag is. So, it gets technical behind
18 the scenes but basically that's how it works. This is
19 patented. It's very accurate, so we validated the accuracy
20 of the sag to within plus or minus 1%.

21 And you know, since this doesn't rely on any line
22 characteristics, there's no need to ever calibrate the
23 device. Once it goes on, it stays accurate for the life of
24 the device.

25 Okay, oh -- this animation is working. I didn't

1 think it would work, okay good. So, you can see a little
2 animation here. The device on there. The wind is blowing
3 the line, right? There are the acceleration records.
4 That's going into a frequency spectrum, so wave form
5 analysis and then that's calculated into a sag value.
6 That's essentially how it works on the back end.

7 Okay, good. So, besides measuring sag, the other
8 key factor to this solution is measuring wind. So, if you
9 think about all the different things that could possibly
10 impact the temperature of the conductor and the capacity of
11 the conductor, ambient temperature, the solar radiation,
12 wind, and of course the current going through the line, wind
13 is actually the most influential variable in cooling the
14 line down.

15 So, perpendicular wind of 1 meter per second or 3
16 feet per second is responsible for 44% of that line's
17 capacity. So, it's very important to know accurately what
18 wind is being experienced by that line. And this device
19 measures it two different ways. So, this is a cross section
20 of a conductor. As the wind crosses over the line, it
21 produces a turbulent flow on the other side.

22 That turbulent flow causes the line to vibrate in
23 a very specific way. The accelerometers inside the device
24 can pick-up on that vibration and determine the wind speed
25 based on that. At higher wind speeds, the conductor will

1 actually start to be displaced -- to swing, there's a swing
2 angle.

3 Those accelerometers inside our device can
4 pick-up on the swing angle and calculate wind speed from
5 that as well. Okay. And going to the comparison of AAR and
6 DLR that Elia conducted, and the reason why this goes behind
7 wind is because the big reason these are different is
8 because AAR doesn't really give you an accurate measurement
9 of wind on the line.

10 It's really more based on ambient temperatures.
11 So, AAR gives a less gain, DLR you get about two times more
12 gain in general -- at least this is what Elia found out on
13 this specific line. They were able to get two times more
14 gain on average with respect to AAR.

15 The other side of the coin is that there are some
16 cases where the ambient adjusted rating -- that's here in
17 blue will actually be above the dynamic line rating, which
18 is representative of the real conditions. So, if you're
19 running your system by AAR, you may think you have higher
20 capacity than you really do. And in this particular study,
21 that happened about 5% of the time where if the utility were
22 operating under AAR, they were actually going to put the
23 line in overcapacity, okay?

24 And a big reason behind this is wind speed. So,
25 we know that wind is the highest contributing factor to

1 impacting the capacity of the line and AAR does not capture
2 any of that wind effect. DLR can capture wind speeds down
3 to the .5 meters per second range. This might sound like
4 really the wind speed, but it actually can cool the line
5 quite significantly.

6 And you know, weather-based methods cannot
7 account for wind speeds that low, okay. So, Elia was able
8 to successfully integrate the system into their SCATA. This
9 particular screenshot is one of their ABB screenshots
10 showing the one hour DLR forecast that they operate off of.

11 There's also a screen that they have for a
12 two-day ahead forecast that they use in trading between
13 France and between the Netherlands.

14 And finally, the results -- so, there's five
15 years of cumulative data collected over Elia's systems for
16 DLR. You see there we have the static line rating marked at
17 100%, this is the original rating for their lines and then
18 data for 2014 for 2018. And during those five years, the
19 DLR system increased capacity on their system by around 30%.

20 90% of the time it increased it 110 to 116%. And,
21 it's also notable to say that 2% of the time the DLR value
22 was actually less than the static value and that's because
23 and knowing what the real-time conditions are on that line,
24 sometimes your rating is lower than your static rating.

25 And it's good to know that because then you know

1 that you could be in a situation where you can overcapacity
2 your line. So, DLR not only gives you what you need to get
3 extra capacity, it also helps you improve reliability and
4 avoid risk of overcapacity.

5 So, you know, in the end Elia was able to get
6 their 30% increase in import and operate their system safely
7 and reliably throughout their winter peak time, and they're
8 still using this system today, alright.

9 MR. KOLKMANN: Thank you Joey. We'll next turn to
10 Jack McCall from Lindsey Manufacturing.

11 MR. MCCALL: If you can do the 16 by 9 one, it
12 will probably show up better on the screen, thank you. My
13 name is Jack McCall. I'm with Lindsey, we're a supplier to
14 the industry for over 70 years. We've been supplying
15 dynamic line rating and transmission capacity forecasting
16 solutions for a number of years as well.

17 For a brief introduction on the dynamic line
18 rating product that Lindsey makes, and this will kind of
19 serve as a background to talk about forecast, which I'm
20 going to focus on here. The product we make is called
21 Smartline TCF, which stands for Transmission Capacity
22 Forecasting.

23 Basically, the product is, you'll find with most
24 dealer products, provides real-time instantaneous, dynamic
25 line rating. By using direct measurement technologies, we

1 make sure that we maintain clearance to ground limitations
2 for all the transmission lines and we make sure that we're
3 not violating any of the thermal limits of the transmission
4 lines either.

5 The system can provide forecasts of line capacity
6 of an hour or greater within the day, or if you want
7 multiple day it can provide one day to one week forecasts.
8 We can also provide complex forecast packages or bundles as
9 may be required by an ISO or a TSO.

10 And the forecaster developed the 98% confidence
11 factor by default, that can be adjusted up or down, if a
12 TSO, or an ISO desires to do so.

13 The line sensors directly measure the critical
14 perimeters of the line. It's a cloud-based software which
15 can provide input directly to an EMS system. And it's a
16 cyber-secure system and soon it's also going to be a
17 transmission line asset management capability added to this
18 as well since we are monitoring the transmission line.

19 Basically the way it works is on this slide,
20 which should be the fourth slide, for anybody that's
21 following along, there are sensors mounted on the
22 transmission line as you can see to the left where we're
23 pulling in live data from the transmission line.

24 That information is then matched up with live
25 weather data which does two things. One, we compute an

1 instantaneous, dynamic line rating, but we also use it to
2 start building a learned conductor behavior model, so rather
3 than assuming that we know how the conductor is going to
4 behave, we learn over time how the conductor actually
5 behaves for different line loading conditions and the
6 prevailing weather conditions.

7 This then allows us to go to the next step, which
8 is to take weather forecast data and use that built-up line
9 model to develop line power capacity forecasts. So, we've
10 already discussed this, but I'm just kind of going to
11 re-establish it here to build the ground to forecasting --
12 what are the two key parameters that limit line ratings?

13 They are the clearance to ground -- that is from
14 the lowest point of a conductor span to ground that's
15 required by law to maintain certain clearances, and as has
16 been established in numerous other conferences, a line is
17 not safely operated unless electrical clearances are
18 maintained, so that's a key factor here.

19 And also, conductor temperature -- if a conductor
20 is run at too high of a temperature, it will start to
21 anneal, which requires the conductor to be replaced. And it
22 can be weak, and then weakened after that process as well,
23 which is why you want to replace it, you don't want the
24 conductor breaking.

25 What effects these parameters? As we've

1 discussed its weather. Line static ratings we've already
2 heard, are traditionally based on very conservative weather
3 conditions, other techniques such as seasonally adjusted
4 ratings and ambient adjusted ratings, recognize weather does
5 have an effect on the line capacity but both of these
6 techniques depend primarily and really only on ambient
7 temperature.

8 Wind has a much more significant impact on the
9 line rating than ambient temperature does. This should not
10 be considered a general rule of thumb to apply, but for a
11 very common type of conductor used, a two-mile an hour
12 change in wind speed has the same rating effect on the line
13 as a 15 mile an hour change, or -- excuse me, as a 15 degree
14 change in temperature.

15 So, ambient adjusted, you know, from winter to
16 summer, may have 15 or maybe greater degree temperature
17 change, but that's really only the equivalent change to a
18 couple miles an hour change in wind speed.

19 So, how do we do this? So, we again -- as all
20 the DLR technologies have the ability to monitor the line's
21 parameters somehow, the parameter that we are -- or the
22 sensor that we have, has a built in lighter unit which is
23 continuously looking at the ground from the line and it's
24 continuously measuring the actual distance from the belly of
25 the span of the transmission line to the ground, so we

1 actually know the clearance.

2 We're also measuring the conductor temperature in
3 the line, so we know actually how hot the conductor is.
4 We're measuring the current that's flowing through the line,
5 so we're not depending upon a remote current reading, and
6 then there's other sensors built-in as well -- tilt and roll
7 vibrations, so on and so forth. So, again it's a
8 self-powered device. It can be installed on a de-energized
9 or energized line very quickly and it can use -- and right
10 now we use primarily satellite radio communications because
11 sometimes where you wish to try and monitor the line may not
12 necessarily be a place where communication infrastructure is
13 strong.

14 Nobody likes the visual pollution of transmission
15 lines. Everybody wants them routed as far away as you can
16 get from population centers, but it may be that those
17 particular spans, or those particular portions of the lines
18 are the portions that need to be monitored for dynamic line
19 rating, so the satellite really gives you the ability of not
20 having to worry about what the communication infrastructure
21 is.

22 So, again, we take real-time weather, and you
23 look at the actual conductor temperature, the clearance to
24 ground, we call those the critical parameters for what a
25 line rating is, and then you can start to develop an

1 equation which describes the way the line behaves, and this
2 is what helps you move forward.

3 So, let's take a look at dynamic line rating.
4 So, this graph up here is data from an actual 138 kV line
5 here in the United States. The green line at the bottom is
6 the actual amount of power flowing through the lines. The Y
7 axis, by the way, is MVA, so it's the amount of power in the
8 line.

9 The yellow line is the line static rating. The
10 red line in this particular utility is a four hour emergency
11 rating that they've established on this line. And the blue
12 line up above is the instantaneous DLR. So, this particular
13 one is updated every 10 minutes with a new dynamic line
14 rating.

15 Now, a couple things to pull from this. One is
16 you'll see that the dynamic line rating for at least this
17 two-day period of time, which is shown here, is
18 significantly higher than the dynamic line rating or even
19 the four hour rating of the line. And studies have shown --
20 decades of studies have shown, for a dynamic line rating,
21 for different experiments and techniques that have been
22 done.

23 We've heard from Ampacimon how this was backed up
24 in Belgium, but you have 10 to 25% additional capacity is
25 available, usually 95% of the time or more, which is very

1 useful. The big problem is that dynamic line rating changes
2 very rapidly. It changes quite erratically and its
3 real-time.

4 So, let's pretend we were looking at that graph
5 here and now I've blacked-off the area that I know was ahead
6 and if this is the point in time that I'm actually looking
7 at, and I'm saying this is my dynamic line rating. Now, I
8 want to operate my line to this actual condition, how do I
9 do that?

10 Well, I don't know what my next 10 minute dynamic
11 line rating is going to be. Is it going to be this rating?
12 Is it going to be up here? Is it going to be down there?
13 Is it going to be somewhere? We don't actually know.
14 Utilities have found that using real-time dynamic line
15 rating is operationally difficult. It's kind of the same
16 thing, getting back to traffic analogies, it's kind of like
17 you're stuck in a traffic jam here in this photograph, and
18 you pull up your phone and you start up Google Maps, and you
19 look at your phone and it says you're caught in a traffic
20 jam and you're not moving.

21 And you're like, yes, I know that, I'm caught in
22 a traffic jam, I'm not moving. The information is highly
23 accurate but it's absolutely useless, you can't do anything
24 with it. You wanted to know before you got on that road
25 that I shouldn't have gone on that road, I'd be caught in a

1 traffic jam, that I should have taken a different path.

2 So, for dynamic line rating, real-time is too
3 slow, which seems like an oxymoron, but it is. So, let's
4 take a look at forecasting. Utilities are used to
5 forecasting. Ever since the beginning of utilities, they
6 have forecasted load because it varies with the weather.
7 They say what's the weather going to be tomorrow, am I going
8 to have more resistive strip heaters turned on? Is my air
9 conditioning going to be turned on? Is it a weekend? So,
10 on and so forth, what's my load going to be?

11 Today with renewable generation, every utility is
12 forecasting how much wind power am I going to have tomorrow,
13 what's my solar forecast going to be. Forecasting is very
14 common, but generally transmission capacity is generally
15 assumed as fixed utilities.

16 So, the next step of dynamic line rating is to
17 take that and move it into the forecasting realm, which
18 we're terming "transmission capacity forecasting," which
19 basically is an advanced statistical process, just like any
20 forecasting process is, that looks and it forecasts from an
21 hour ahead or a day ahead, or some combination in between.

22 It can be done with very high confidence factors.
23 And the use of local line measurements avoids weather only
24 type systems and the errors that come from that. All
25 forecasting systems can provide input directly into EMS

1 systems. Most EMS systems today will take forecasts as an
2 input and they combine the learning-based conductor
3 behavior models with continuous forecasting techniques.

4 So, what does this actually look like? Going
5 back to that same graph that we had before where we have the
6 dynamic line rating in blue, we've added two more lines
7 here. A line in orange and a line in green, look at the
8 line in orange first. This is a two hour line forecast, so
9 every two hours a new forecast is generated that says how
10 much power can this line carry for the next two hours,
11 knowing that there is a 98% confidence factor that my
12 instantaneous DLR will not drop below what that forecast is,
13 okay?

14 So, I'm getting my little thing here -- so,
15 again, so you have a two hour forecast. At that dot point,
16 we generate a new forecast and a new forecast and so on.
17 The green line is the same except it's a 24-hour forecast
18 that's just generated once a day, usually 24-hour forecasts
19 will be updated on a more frequent basis than this, it may
20 be updated every hour, every two hours, or every six hours,
21 what have you.

22 But the way this chart was drawn, and for
23 explanation purposes, is that these forecasts were drawn as
24 forecasts, and then the real-time DLR, the blue line, was
25 drawn in after the fact as it actually occurred.

1 So, the way to think of it is that the orange
2 line is what we predicted would occur, and then the blue
3 line is actually what did occur. And you can see
4 forecasting can be done very, very accurately with dynamic
5 line reading and forecasting techniques which are very
6 common.

7 This is what makes it operationally useful for
8 utilities to be able to move forward with the deployment.
9 And per the DOE report, and for the FERC report that came
10 out, DLR and transmission capacity forecasting together can
11 provide numerous benefits right out of the report. It can
12 provide congestion relief, which we've heard on that,
13 increased resilience -- there's a lot we can talk on that,
14 increased reliability -- a lot we can talk on that, enhanced
15 market operations, situational awareness, curtailment
16 reduction for wind power.

17 So, that's my introduction for you guys for
18 forecasting transmission capacity.

19 MR. KOLKMANN: Thank you Jack. We will next
20 turn to Hudson Gilmer of LineVision.

21 MR. GILMER: Actually, just keep that slide up
22 for one second, I just wanted to make one more point on that
23 slide that -- so, when Jack talked about that forecast, that
24 orange line, it's actually the lower bound of a confidence
25 interval of that forecast. Can you hear me okay? I thought

1 I heard tapping, so can you just verify that mic is on?

2 Yeah, I think it's not, maybe -- a green light goes on,

3 okay, can you hear me now? Alright, thanks.

4 So, I just wanted to add one point to the
5 comments that Jack had made earlier on this slide and I'm
6 not sure if we have a slide number here, but this is the one
7 entitled "Transmission Capacity Forecasting".

8 And just to be clear, the orange line here, and
9 keep me honest Jack, is basically the lower bound of a
10 confidence interval of the forecast where the midpoint is
11 actually probably close to that blue line, but then there
12 would be another band, another upper band, so what this is
13 doing is telling the operator that you've got a 90% or a
14 98%, I believe, confidence interval that the actual dynamic
15 rating will be at or above that orange line. So, you know,
16 this is a very conservative forecast.

17 MR. GENTLE: A very quick question, for any
18 confidence you want you can come up with a forecast?

19 MR. GILMER: Correctly, certainly for LineVision
20 and I believe for Ampacimon and for Lindsey, these are
21 configurable confidence intervals and it's maybe a slight
22 digression but there's an interesting discussion around
23 weather for a day ahead forecast it makes sense to have for
24 example, a 98% confidence interval, or if perhaps in the
25 same way that we forecast weather for the day ahead

1 markets, a 50% confidence interval is more appropriate.

2 So, I just want to make that clarification and
3 then if you can pull up my slides. And while he's doing
4 that, I just want to introduce, my name is Hudson Gilmer,
5 Co-founder and CEO of LineVision and thank Commissioner
6 Glick and the FERC staff for pulling this event together.

7 MR. GENTLE: I don't see it in there. I'm sorry
8 about that.

9 MR. GILMER: I said that last night.

10 MR. GENTLE: I know you did.

11 MR. GILMER: Yeah, do you want to go to Jake, and
12 I can see if I can -- yeah, why don't we do that. Maybe
13 while it's doing that, we like traffic analogies and I just
14 want to reinforce the analogy that Bruce made earlier
15 because I think it does a great job of characterizing our
16 current situation.

17 The way we operate our transmission grid today is
18 that we set rating limits based on worse case weather
19 assumptions. And as Bruce indicated, this is really like
20 operating our interstate highway system with a 40 mile per
21 hour limit. And maybe that made sense 50 years ago when we
22 didn't have sensors and we didn't have advanced cloud-based
23 analytics, but we do have those technologies now.

24 These systems have come a long way over the past
25 10 or so years and we really think there's a unique

1 opportunity to bring the industry together, to bring system
2 operators, utilities and the regulators and the vendors
3 together to get more out of our existing grid.

4 Okay, so we've got the slides up. I'll move to
5 slide number 2 and provide a quick introduction to
6 LineVision. So LineVision is a relatively new company. We
7 spun out of a company called Genscape a little over a year
8 ago back in May of last year, but we have been incubating
9 the business within Genscape for the previous three plus
10 years.

11 But we're built on a technology -- a non-contact
12 transmission line monitoring technology that was developed
13 over the last 18 years, and between Genscape and LineVision,
14 we have deployed over 5,000 monitors on transmission lines
15 worldwide, so this is a well-proven and robust technology.

16 And the logic for spinning out LineVision was
17 really that we wanted to create a company that was solely
18 dedicated to providing the asset owners, providing the
19 electric utilities with solutions to increase the capacity,
20 increase the reliability and increase the flexibility of
21 their transmission lines.

22 So, what are the applications that we provide to
23 our customers? There's three, and only one is really
24 focused on ratings. So, the first is what we call
25 LineAware, and this is extending situational awareness for

1 the utility to the transmission lines themselves.

2 Situational awareness has been an area that
3 utilities have invested in considerably over the last decade
4 or so, and if you walk into any modern control room, you'll
5 see a wall of monitors, and you'll see data from all of the
6 substations, and generally that data is coming from
7 equipment within the substations, such as transformers, such
8 as smart relays, such as synchrophasors.

9 But to date they really haven't had any
10 visibility on the lines themselves. So, what LineAware does
11 with our continuous monitoring is detect anomalies on the
12 lines themselves and provide real-time alerts to the utility
13 whenever there are situations that may pose either a risk to
14 the asset or to public safety.

15 Conditions like clearance violations, when the
16 line is hanging below a defined threshold, things like storm
17 damage to the tower structure, galloping or ice building up
18 on lines. So, this can really provide that end-to-end
19 situational awareness to the utility and improve the overall
20 reliability of the electric grid.

21 The second application is what we call LineRate
22 and this is leveraging our monitoring to calculate dynamic
23 line ratings and increased capacity on existing lines,
24 typically between 15 and 40% over the static or seasonal
25 ratings. So, in much the same way as Joey from Ampacimon

1 and Jack from Lindsey described, we're using the exact same
2 industry standard, IEEE 738 line rating calculations to
3 calculate a steady state or a real-time rating.

4 We're able to calculate short-term emergency
5 ratings and that we're also able to incorporate forecasted
6 weather data to forecast ratings with a defined confidence
7 interval over the coming several days.

8 And then finally, we offer LineHealth, so Brattle
9 Group did a study recently showing that over 50% of all
10 circuit miles of transmission in the U.S. were built 40 or
11 more years ago. In fact, we did an installation on a couple
12 lines recently on lines that were built back in the 20's, so
13 they're actually nearing 100 years old.

14 And utilities really haven't had a good way of
15 assessing the current health of those assets. They have to
16 resort, if they do test those assets, to what's called
17 destructive testing, which is a very cumbersome and
18 expensive process. It involves de-energizing a line,
19 dropping those conductors to the ground, cutting out a
20 section of the conductor and sending it off to a lab for
21 what's called destructive testing.

22 So, what we're able to do with LineHealth is with
23 the monitoring, we get very fine grained time series
24 historical data. We're able to see and compare the actual
25 condition of that line to the as built condition when it was

1 originally designed and installed. And so, we can see if
2 over time the line has annealed or stretched. And we can
3 also see events that contribute to the aging and the loss of
4 tinsel strings of those conductors. Factors like thermal
5 cycling. Factors like heavy winds or galloping on the
6 lines, and also ice building up on the lines.

7 We've had utilities say hey, we know there have
8 been wildfires in fields underneath our lines, and we're
9 still operating these lines, but we don't have a good sense
10 of whether they're safe to operate and you only need to look
11 at the recent events in California with the wildfires and
12 the PG&E bankruptcy to know that utilities need better
13 information on the actual condition of their lines to help
14 them extent the useful life of healthy lines, but also to
15 prioritize maintenance or renewal decisions on lines that
16 may need work.

17 So, how are we doing this? The system is a
18 little bit -- it's a non-contact system that actually mounts
19 on the tower. So, we're using two key sensors. One is a
20 patented electromagnetic field, or EMF sensor that monitors
21 the electrical properties of the line, most importantly the
22 loading or the current on the line.

23 And secondly, we use an optical -- a scanning
24 optical sensor, that looks up at the conductors as you see
25 in this image and is able to get hundreds of data points on

1 each of the conductors, so a single system is able to see
2 all three conductors for a single circuit, or in the case of
3 a dual circuit where you've got six conductors, it can see
4 all six of those conductors and then we digitally
5 reconstruct that entire caton area and create a digital
6 twin of the asset.

7 And then very similar to the systems from
8 Ampacimon and from Lindsey, we're able to take that data
9 through typically an LTE data connection or satellite if
10 necessary, bring it into our cloud, run the analytics and
11 then deliver that data through either a secure web interface
12 or an integration with the clients EMS system or pi
13 historian.

14 So, now I want to switch gears a little bit and I
15 think there's -- and talk about the differences between
16 static ratings and ambient adjusted ratings and dynamic
17 ratings. As you saw on the previous slide, ambient adjusted
18 ratings -- they have the advantage that they're low cost,
19 they're easy to implement, there is no physical equipment
20 that's required at each site.

21 But if you actually consider the cost of dynamic
22 rating, dynamic line rating systems relative to the cost of
23 installing a new line or reconductoring a line, dynamic line
24 rating systems are actually incredibly cost-effective
25 relative to their benefits.

1 The number that we typically cite is a DLR system
2 costs about 1% of the cost of reconductoring a line, or less
3 than half the percent of the cost of building a new line.
4 And then if we look at incremental capacity -- ambient
5 adjusted ratings benefit solely from the adjustment of the
6 temperature based on the nearest weather station, and so
7 that can provide a few percent of additional capacity.

8 Generally, 1% additional capacity for each degree
9 Celsius of reduced temperature below the static assumption.
10 Whereas, dynamic line ratings -- because we incorporate
11 wind, have typically between 15 and 40% additional capacity
12 that we can offer.

13 And there's another point here that I think is
14 often overlooked. It's not just about how much capacity is
15 available, but the question is also is that capacity
16 provided when the grid needs it the most?

17 If you think about ambient adjusted ratings, they
18 take advantage of the reduction in temperature, but that
19 reduction in temperature typically happens during the
20 overnight hours when the grid is least loaded and least
21 likely to be congested.

22 Whereas, dynamic line ratings actually have a
23 beautiful coincidence of unlocking the additional capacity
24 when the grid needs it the most. And this is because of two
25 factors. One is that a significant percentage of congestion

1 on the grid, and a growing percent is wind driven
2 congestion. We have pockets of wind and when all those wind
3 farms in a given region are spinning, then it creates
4 congestion on the lines that bring that wind to the load
5 centers.

6 But if we installed dynamic line ratings on those
7 lines that connect the wind farms, that same wind that's
8 spinning the turbines is also cooling the lines and
9 unblocking or removing those bottlenecks.

10 And the second factor is that at the height of
11 the lines, wind speeds are actually greater during the
12 daytime hours than they are during the overnight periods, so
13 we see higher dynamic line ratings during the daytime.

14 And then finally, the benefits of dynamic line
15 ratings extend beyond simply the additional capacity. We're
16 able to provide greater reliability, greater resilience on
17 the grid through situational awareness and giving utilities
18 that end to end situational awareness and also helping them
19 move from traditional operate to failure, or time-based
20 asset management approaches to condition-based asset
21 management through our line health asset -- asset health
22 monitoring.

23 So, I want to close -- one of the topics that was
24 -- or questions that was raised for this panel was what we
25 see as the expected future adoption of dynamic line ratings.

1 And if you look at a lot of the reports that are provided,
2 it looks at DLR as a technique for addressing the most
3 highly loaded or highly congested lines.

4 And while that's a great place to start, we
5 actually believe it's only a matter of time before dynamic
6 line ratings become standard on every transmission line.
7 The vendors you see here are working to reduce the cost and
8 improve the functionality and improve the benefits of these
9 systems and I think for the utilities once they overcome
10 that initial hurdle of the data integration and deployment,
11 it becomes actually preferable for them to have very
12 consistent deployment throughout the system.

13 So, we look forward over the next couple days to
14 working on moving towards that adoption, thank you.

15 MR. KOLKMANN: Thanks Hudson, and we'll next
16 turn to Jake Gentle from Idaho National Laboratory, thanks
17 Jake.

18 MR. GENTLE: Hi, thank you. So, as you load the
19 slides I wanted to thank the Commission for putting this
20 together as well as FERC staff for not only assisting in
21 pulling this together, but you know, shepherding all of the
22 material and the people as we enter the building.

23 And I want to point back to a 2017 dynamic line
24 rating workshop that we held at Idaho National Laboratory in
25 Idaho Falls. I appreciate back then the ability for FERC

1 and NERC and others to attend. I'm really sure that the
2 conversation is not only continued but expanded, and so I
3 think there's a lot of colleagues on this panel session that
4 helped drive some of that pressure as well and I appreciate
5 that because taking science to market is not always easy.

6 So, I want to thank my colleagues at Idaho
7 National Laboratory, as well as the National Oceanic and
8 Atmospheric Administration, so Ken Fenton is in the room
9 here, so he can help answer any questions later as we talk
10 about meteorology, as well as Department of Energy.

11 So, a couple of the reports that have been cited
12 here were funded through the Department of Energy. And all
13 of my work is funded by the Department of Energy Wind Energy
14 Technology Office.

15 I'm not going to spend a lot of time on some of
16 these slides because it's been talked about and I think we
17 want to catch up and let the audience ask questions, so
18 first off I want to say of all the technologies and
19 approaches -- they all are based on standards.

20 And those standards have been around for a long
21 time. They evolved over time as well, but they have a
22 basis. There are many types of measurements that can be
23 applied in a line rating use, whether it be direct or
24 indirect, whether it be weather-based or conductor-based.

25 There are two questions. There's one question

1 really that I posed under that third bullet for direct
2 measurements, whether that would be weather, temperature,
3 sag, distance to ground, are they placed at key locations?
4 How do you know where to place those?

5 The second is testing and careful calibration of
6 sensors are required. Are you asking the right questions?
7 Prove to me that it works. And you look at -- if you look
8 at weather-based only solution, one weather station is not
9 enough. Going to a website and putting in that net longs
10 and getting weather station data is not enough.

11 I'll explain why. This is where weather enters
12 the equations. These are the same equations whether you
13 look at IEEE 738 or C grade technical brochures, its
14 throughout all of the equations. The physics behind how you
15 rate a line require weather input.

16 We've talked about how you might use that out
17 plan rating. Everybody in the room has a different use case
18 guaranteed. You'll have a different driving force for why
19 you would want to implement dynamic line rating.

20 Two points -- if you consider your static
21 assumptions, where did they come from? How does current
22 weather trends map back to when you established your static
23 rating assumption?

24 Second -- how does preventing wind compare to
25 transmission line direction? Using a normalizing of

1 incidents, whether it be parallel perpendicular, your lines
2 are not always the same line as met throughout your entire
3 service territory.

4 So, consider applying your ratings at least to
5 your lowest angled incidents, so more parallel. If you're
6 not tracking where all of your lines and know what they are
7 throughout your system, you may consider that angle of
8 incidents.

9 The point of my talk today is to talk about
10 forecasting and in order to forecast a rating -- because
11 ratings can't be measured, you have to look at the weather
12 conditions. You can ground truth that by operational
13 technologies that look at direct conductor behavior and
14 that's critical, you need that.

15 In order to forecast the rating, you need to
16 forecast the weather conditions that would drive the rating.
17 I'm going to talk about one particular model. This is the
18 high resolution rapid refresh model. This is owned and
19 maintained by NOAA. The data is free, so potentially you go
20 to the website and extract it.

21 It's on a three kilometer grid spacing and then
22 temporal resolution has been increased. It used to be 18
23 hours, it's now 36 hours, so from zero to 36 hours, you're
24 getting an update every hour with 15 minute resolution
25 within the hour.

1 There are other models that go out further in
2 time, but they also increase in that spatial, so 12
3 kilometers versus 13 kilometers, et cetera.

4 We saw for right the HERR model is most
5 applicable for dynamic line ratings because it allows you to
6 have that day ahead and even a little bit further out within
7 intra-hours as well, so if you want to go 15 minute interval
8 updates, you can. If you want to go 24 hours, you can.

9 There's a timeline in which some of the different
10 weather forecasts for regional mesoscale models can be
11 applied. There are overlaps by design. To go to the
12 details specifically of one of our studies use cases, this
13 is based on 45 weather stations in an area within Idaho that
14 has about 450 miles of transmission line.

15 All of our work presented here today has been
16 published in various forms, whether it be C grade session
17 or grid of the future or IEEE transaction journals or
18 conferences, so the details behind all this can be found out
19 there in literature. I'm just trying to show you the
20 snapshots of those studies.

21 So, essentially, we've got four ratings here.
22 We've got summer, fall, winter and spring. That's the gray
23 bars. The red dots are effectively the 3 hour ahead daily
24 minimum. So, if you take throughout the 24 hours all of the
25 3 hours ahead forecasts -- we want to go 3 hours ahead

1 because we didn't want to look at 1 hour which, you know, is
2 different than 24 hours.

3 We wanted to look farther enough out in time that
4 the model starts to become more accurate. You know, zero to
5 1 hour, zero to 1 and hour, some of these forecast models
6 aren't as good. You know, you might lean on persistence.

7 So, effectively we looked at the 3 hours ahead
8 forecast, we've picked the daily minimum, and we've applied
9 that over the course of a year. Each one of those red dots
10 represents a single day. The minimum of all 450 miles of
11 the line and you know, 2,600 square miles that we did the
12 study on, that takes the daily minimum as calculated using a
13 3 hour ahead forecast.

14 We applied a 98th percentile threshold to all of
15 the HRRR data points. If you look at 18 hours out, the way
16 that the HRRR model operates, its error is about the same as
17 the 3 hours. It's a really flat RMSE value as it goes out
18 in time.

19 But we can do better, right? Physics-based
20 models are getting better and better over time, better at
21 continually being trained and updated and approved for
22 applications. But we have local observations in a lot of
23 instances, so why not apply them to do some bias correction?

24

25 Effectively what I'm showing here is the

1 conductor -- the ambient air temperature bias correction
2 applied to all 45 weather stations across that 1 year
3 period, which leads to a new plot on the right.

4 Effectively you need local observations to remove
5 those biases. Statistics will only get you so far. This is
6 a blown up version of that and I added -- well, Ken added
7 some real-time ratings based on the local observations. So,
8 again this is the minimum of that same 1 year period of
9 daily minimums, each circle, so that's the difference
10 between the actual measured weather data versus the HRRR
11 forecast data for the same period in time that you're
12 forecasting to.

13 There are instances in there, which is hard to
14 see, but there are instances in there where the actual
15 weather data, even if you apply a 98 percentile, there is
16 still 2% of the time that you should be below, right? So,
17 there's measured local observations that would have led to a
18 lower rating than you're forecasted.

19 It's not just weather that drives some of these
20 conversations, its terrain. Terrain drives climatology.
21 Terrain drives span distance, structure height, tension, et
22 cetera. Whether you have dead ends every structure or you
23 have dead ends every 50th structure.

24 All of that matters when you're considering a
25 line rating. So, what these two plots show you on the left

1 is the histogram for that same 1 year period of time in a
2 different location where we've taken about 10 miles of
3 transmission line over very complex terrain and we've
4 identified each span, based on weather calculations, each
5 span that would have been "that limiting span".

6 So, this helps you drive the conversation around
7 where do you place your ground truthing, your direct
8 measurement devices. This could be weather stations or
9 anything else. With all this knowledge, where do you choose
10 to monitor? Is it just easy access right-of-way? Is it the
11 most critical span, meaning it's crossing a highway or some
12 other sensitive area?

13 How do you know where that location is? If
14 you're looking at line ratings, weather drives line ratings.
15 At any given time, your weather conditions can be different
16 across all spans, so the plot on the right is just a single
17 instance snapshot. This would be the wind direction or the
18 arrows, and you know, the magnitude of the wind speed would
19 be the length of the line, or the length of the arrow.

20 So, within 10 miles of line you can see the angle
21 direction -- the wind angle at that single point. There's a
22 lot of case studies, you know, dynamic planning is not new,
23 and I think all of these have a common theme -- it's
24 valuable. It doesn't matter what methodology you choose to
25 use, there are value adds by having dynamic line rating

1 information.

2 The difficulty is each one of these case studies
3 has a different set of conditions -- a different market, a
4 different structure, a different conductor, a different
5 year, a different climatology in general. Totally different
6 terrain, surface roughness -- all of those parameters are
7 different when you look at all these locations and they have
8 to be different, right? There's no single instance of a
9 conductor that's the same.

10 So, I want to drive into the physics basically
11 behind some of the comments made today which is wind speed
12 and wind direction matter most. I think that's been well
13 documented. But I wanted to show you a couple plots that
14 show you what those magnitudes could be.

15 So, looking on the top left plot, effectively
16 that's as you sweep wind speed, hold all of the other
17 parameters' constant from zero to 20 meters per second. You
18 can see the increase in ampacity as you sweep that wind
19 speed.

20 From zero to 5 meters per second is when you get
21 the most change. After that you start flattening out the
22 curve there. There's four plots -- two of them are for one
23 conductor type, a draped, another two are for another
24 conductor type, a bittern and they're each operated at 80
25 degree Celsius as its maximum operating conductor

1 temperature versus 200 degrees Celsius as its maximum
2 operating conductor temperature.

3 And I asked this question a while back. ACSR at
4 200 degrees Celsius -- are you kidding me? Those utilities
5 are operating them right now at 180-190 degrees Celsius, so
6 these curves are very valuable.

7 Compared to wind direction, you can see parallel
8 wind versus perpendicular wind. It repeats itself as you
9 flip on the other side of the wind rows, the angled then
10 since matters. One thing I wanted to mention is the plots
11 on the right, which are hard to quite understand without you
12 know, probably 10 slides ahead of this, which are probably
13 in a different slide deck.

14 But effectively, the reason why you have a shaded
15 reason is because there are variances in the accuracy of the
16 measurement types, whether it be a cup anemometer, lowest
17 end possible, cheapest 80 dollar device versus ultrasonic
18 anemometer, where you're measuring wind speeds at 1.% meters
19 per second accuracy, .01 meters per second accuracy.

20 So, the ability to calculate a rating depends on
21 the devices you install. So, when you ask, you know,
22 whether service provides that are providing weather data,
23 understand the equipment they're using because it matters in
24 the rating, alright, so the precision of that device, or the
25 accuracy of that device can vary over time.

1 Effectively the same scale to Steve's
2 parameters. You can see the slope of the curve is
3 different. Temperature and solar flux matter, but they
4 don't have the same driver or influence over the ratings as
5 wind speed direction.

6 We talked about ambient adjusted versus dynamic
7 line rating and on a plot there's four lines up here. The
8 first line I'll reference is the static rating based on the
9 units here. If I'm correct, they should be feet per second,
10 but and that shouldn't be amps per meter square, it should
11 be watts per meter square, nonetheless.

12 So, you've got ambient adjusted using just
13 ambient air temperature. That's the first plot there. The
14 second one I added ambient adjusted with air temperature,
15 plus ambient adjusted with solar, so if you take into
16 consideration of whether it be time of day or measured, this
17 is measured plots per square meter. You can see how they
18 track. They tend over time to be very similar.

19 And I also added a 1 hour average over this one
20 week period of using IEEE 738 study state rating, so if you
21 take the instantaneous rating using dynamic line rating
22 parameters measured within that hour and you average it,
23 there are a lot of other ways, I just wanted to pick one.
24 You can take the minimum. You can take some other 98%
25 tally, you can do whatever, but I just wanted to take an

1 average over that 1 hour period, and we plotted the dynamic
2 line rating, if you will, or that one week period.

3 The thing I want to note is down here, right?
4 All of these instances where, you know, I hand-picked a week
5 where it did dip below, but if you're just looking at
6 ambient adjusted, whether you use just temperature, ambient
7 air temperature, or you add in some more complexity by
8 adding solar or time of day calculation, you're more than
9 likely missing some of these instances.

10 And the ability to include ambient adjusted
11 versus full on dynamic line rating, you're just adding two
12 more variables -- wind speed and direction. Where do you
13 get that data? How do you trust it? That's the complexity.
14 The ability to use it is no different.

15 Lastly, in the physics-based conversation, as you
16 go from operating lines that say 80 or 90 degree Celsius as
17 your maximum conductor temp to say 200 degrees Celsius as
18 your high temp of low sag conductors come onto the market,
19 this conversation about dynamic line rating needs to be
20 revisited from your static rating assumptions, and your line
21 rating assumptions because emissivity and abstractivity
22 change at higher operating temperatures. The impacting
23 which those two parameters matter.

24 Where are we headed now? We're continuing to
25 work with all partners on the panel here as well as partners

1 within the audience and on the phone. We really want to
2 focus in on the physics and different regions of the country
3 have different physics, different climatologies.

4 Here are four locations, there's multiple lines
5 that we're looking at doing studies against and we're really
6 mapping the performance of weather forecast models against
7 local observations -- how do you apply them to line ratings?

8 Last but not least, cybersecurity is mentioned in
9 here several times and I appreciate the FERC staff report
10 commenting on NERC and other cybersecurity concerns. I
11 think that's an area of necessity. As utilities are going
12 to be basing their operations, whether it be real-time or
13 forecasted off of technologies, advanced technologies,
14 cybersecurity is a major concern.

15 And again, I want to thank the funders and those
16 who have paid for me to be here.

17 MR. KOLKMANN: Thanks. Jake. I'll start off with
18 the first question and we can go from there. Are panelists
19 aware of any research or testing to reach the non-wires
20 transmission equipment more dynamically? The substation
21 equipment for example? Do panelists know of any research on
22 that?

23 MR. GENTLE: I can definitely start from a
24 research angle, yes. There is significant research being
25 done, a lot of different technologies, you know, whether it

1 be sub C cable for example, underground cable. They have
2 different research angles if you will, things to consider,
3 versus overhead lines which I'm going to guess almost
4 everything on this panel is overhead barrel conductor as
5 well as transformer ratings.

6 Transformer ratings -- they're a much more
7 expensive asset, lead times are much more difficult if one
8 were to be damaged, so the sensitivity around deviating from
9 what's worked to maybe something a little more aggressive
10 could be more aggressive, just the higher risk. There's a
11 higher consequence if you're wrong.

12 MR. KOLKMANN: Did you want to ask a question?
13 You can go, we're running behind time.

14 UNIDENTIFIED SPEAKER: Quickly, a couple of
15 questions. Mr. Gramlich, you mentioned you talked about
16 transparency and the need for it, the lack of transparency
17 can actually impair actual engagement because of utility
18 discrimination. Can you provide examples about how
19 transparency can lead to discrimination?

20 MR. GRAMLICH: Well, I'm not offering specific
21 examples, I'd probably share if I knew of them, but sure, I
22 mean in theory, I mean if it's a total black box, I mean if
23 you're giving utilities response to this whole conference is
24 hey, this is my job and I'm not even going to tell you how I
25 do it.

1 To me that's not acceptable if you're a
2 transmission customer seeking access to that transmission
3 capacity, you know, that violates 25 plus years of FERC
4 tradition of trying to determine what the available
5 transmission capacity is and make it available to the market
6 and that was done for both you know, just and reasonable
7 rate reasons, but also discrimination reasons.

8 And you know, depending on the utility's
9 structure and incentives, they may wish to hold capacity
10 back, and of course, utilities and RTOs are going to be, by
11 nature, conservative, and hold capacity back as probably a
12 general tendency. But again, if the actual capacity can
13 really be measured, and if over time utilities can get more
14 comfortable, making sure that reliability is upheld in the
15 quality of the line and the line health. If it remains
16 intact, then you know, that's going to improve efficiency.

17

18 MR. KOLKMANN: That's fine, we're running a
19 little behind time, so we will close it there and we will
20 resume again at 11 o'clock. And thank you to all the
21 panelists for being here, this is a very informative
22 discussion.

23 (Break).

24 MR. KOLKMANN: Please find your seats. We're
25 going to get started. Welcome to Panel 2. Panel 2 will

1 discuss the Benefits and Challenges to DLR and AAR
2 Implementation. The panel features a broad array of
3 industry experts who will share case studies, learn about
4 the practice, to transmission lines, advanced transmission
5 line rating approaches.

6 Panel 2 will touch on how TLR's might be
7 incentivized and on whether periodic studies, cost
8 effectiveness of dynamic line rating and adjusted lines
9 would be helpful. I want to introduce the panelists. Thank
10 you for being here.

11 Starting from my right, audience's left we have
12 Swarj Jammalama, and I'm sorry. He's from Apex Clean
13 Energy. We have Francisco Velez from Dominion. We have
14 Chad Thompson from ERCOT. We have Babak Enayati, he's from
15 National Grid. We have Charlie Xu, from NYPA. We have
16 Howard Gugel from NERC and we have Shaun Murphy from PJM.
17 Thank you all for being here. I'll start with Swarj.

18 MR. JAMMALAMA: So, the Apex team has been
19 investigating advanced transmission technologies since 2015
20 to maximize available transmission capacity and enable the
21 new -- as we looked at it from -- both being from a
22 different perspective and also from market congestion relief
23 perspective, and definitely based on what we're seeing in
24 the changing fuel, and aging infrastructure, we see these
25 technologies and a combination of just also local control

1 devices, and other advanced technologies to accommodate the
2 changing fuels and some aging infrastructure.

3 So, moving directly into the barriers and
4 limitations, despite the lost potential for realizing cost
5 savings and its ability to increase reliability, several
6 barriers or limitations have existed that prevents a
7 widespread option.

8 And in general, it is the hesitation mostly with
9 largely utility -- in this field, they use unfamiliar
10 technology. One common concern is the accuracy and the
11 reliability of the DLR data, and the related lack of
12 operation knowledge and experience with the technology with
13 just changing quickly.

14 Also, in regulated markets and in vertically
15 integrated environments, transmission is primarily seen as a
16 median to serve load obligations, and no incentive exists to
17 open up additional transmission capacity if no additional
18 revenue is generated from its own generators load.

19 Talking about a few opportunities that we see
20 either as a market participant or as a generation developer,
21 is additional capacity for DLR's and relieve the congestion
22 that results in congestion charges in the market. If the
23 congestion is regular and consistent, DLR may also reduce
24 our further need to replace our new construction or cap x
25 projects.

1 Additional capacity also allows for larger
2 transmission capacity which enables delivery to the more
3 regions and settlement locations that wouldn't have been
4 possible before, that also includes behavior and creates
5 additional liquidity at some of those new settlement
6 locations.

7 And the capacity about the static DLR rating can
8 be monetized in multiple ways and one of them can be a
9 simple new transmission product for the incremental
10 transmission unlocked by the DRL facility.

11 So, the DLR in this light can be viewed as a
12 non-transmission alternative, but any power transmitted down
13 this virtual path can be monetized either as a scheduled
14 market product, or as a bilateral product in markets in
15 decentralized markets.

16 Why LSC can lead to cost savings, the savings may
17 not accrue for the financial benefit of the transmission
18 owners to sufficiently incentivize them to deploy such
19 systems and other advanced technologies like power flow
20 controls, et cetera. This is due in part to the financial
21 regulated structure, rate regulated utilities.

22 Transmission owners generally can recover their
23 expenditures for transmission under FERC rules, however,
24 under the current regulatory after service model, it's more
25 about the transmission owners receiving the return on the

1 Cap x investors rather than the quality of the additional
2 capacity provided by the existing transmission system.

3 There really doesn't exist an incentive to
4 maximize the transmission system. And from an ISO or RTO
5 market perspective, most jobs the ISO philosophy is behind
6 optimizing the structures to serve -- to bring the least
7 path economic generator to the load with tender limitations
8 of the transmission system, and this is where the
9 transmission system needs to be a little more dynamic.

10 If you're thinking about optimizing generation
11 resources to load, but we also have to think about
12 maximizing, while maximizing the existing transmission
13 system and the best ways to do it. And moving along to
14 challenges and integration to a centralized system.

15 DLR as we have mentioned before, does have
16 significant benefits, but it only does so on the centralized
17 basis when dispatch operators can apply those maximized
18 ratings to standard operations from their regional control
19 centers.

20 Stand alone DLR solutions can provide both time
21 and look ahead, a day ahead forecast. The ultimate
22 destination for DLR solution obviously is integration of the
23 control room for the systems. Typically, the DLR single
24 server can be configured to send standard tele-control
25 frames to the SCADA front and acquisition units. These

1 frames can then be processed for display and calculation,
2 and however utilities see that the associates use the data.

3 ISOs have evolved a lot on technology since they
4 initially started operations. Today they have successfully
5 implemented online or real-time stability analysis, or tools
6 that can in real-time access the limitations of the system
7 to maximize flow on key constrained facilities.

8 This has led to an increase on pre-established
9 system operating limits and in some instances,
10 interconnecting reliability operating that's on the system.
11 The market has significantly benefitted from these tools,
12 especially when in incentives, they have been exported to
13 places that have been constrained on pre-existing
14 calculating limits is real-time tools are brought in
15 additional margin that the utilities have been able -- the
16 ISOs have been able to work on and it's resulted in reduced
17 congestion in the market.

18 From a communication's perspective, I'd just like
19 to finish up with the communication's part and cybersecurity
20 considerations, just to speak on a high level layer. The
21 input data, such as weather patterns, their circuit load and
22 infrastructure design and measurements are public domain.
23 Proprietary, if not confidential, and must be managed
24 accordingly.

25 Output data, like conditions, rating and

1 forecasts are both proprietary and confidential. To ensure
2 provisions of data confidentiality, integrity and
3 availability, the utility -- the ISO and the vendor can
4 implement secure communication with access control and
5 restrictions and industry can have favored deployment of
6 software of the service model, both of these are center
7 secured costs.

8 Just to conclude, the DLR enabled by diverse
9 technology has a potential to reduce costs to the American
10 ratepayers and the businesses by alleviating congestion on
11 transmission lines and improving safety and reliability for
12 increased situational awareness.

13 Thank you for the opportunity for this
14 Conference.

15 MR. KOLKMANN: Thanks for your comments. Before
16 we go further, I do want to welcome both the Chairman and
17 Commissioner McNamee, thank you for being here. Next, we
18 have Francisco Velez from Dominion. Take it away.

19 MR. VELEZ: Hello, good morning, my name is
20 Francisco Velez and I'm the manager of electric transmission
21 reliability at DominionEnergy Virginia. As manager of
22 electric transmission reliability, I am responsible for
23 ensuring the electric performance of a transmission network
24 and developing programs to improve our reliability metrics.

25 Dominion Energy would like to thank the FERC

1 staff for organizing this Technical Conference on the
2 potential use of dynamic line ratings and ambient adjusted
3 line ratings. Dominion Energy Virginia appreciates the
4 background information contained in the FERC Technical White
5 Paper titled, "Managing Transmission Line Rating," and the
6 effort that went into preparing the paper.

7 The pilots mentioned in the paper and the reports
8 listed as references gives us a wide perspective of the
9 benefits and challenges of using dynamic and ambient
10 adjusted line ratings. Upon joining PJM in 2005, Dominion
11 Energy Virginia adopted and currently uses PJM's ambient
12 adjusted rating methodology.

13 The company's rating process for transmission
14 line facilities take into account all the elements that
15 comprise the line, including those at the terminal stations.
16 The ratings process produces facility ratings for normal
17 operating conditions, whereby facilities can be operated
18 continuously with acceptable equipment loss of life for nine
19 ambient temperatures between 32 and 104 degrees Fahrenheit.

20
21 These ratings information is communicated
22 electronically to PJM.

23 In our system operator center, shift supervisors
24 adjust line ratings under the highest temperature setting
25 according to the temperature gradients across the service

1 territory in real-time. The ambient adjusted ratings used
2 in real-time operations are validated and implemented in a
3 fashion that allows reasonable and necessary reliability
4 margins for the safe and long-term operation of our system
5 while allowing the maximum line capacity to be used going
6 through ambient temperature.

7 The operational experiences at Dominion Energy
8 Virginia system operator planning and operation procedures
9 have shown its transmission system is more frequently
10 voltage constrained than thermally constrained in real-time
11 operations and the benefits of having dynamic line ratings
12 might not materialize in real-time operations.

13 However, Dominion Energy Virginia does recognize
14 the potential benefits of having dynamic line ratings on its
15 most congested regions in terms of allowing more flow on the
16 transmission line to obtain higher efficiency of those
17 transmission assets.

18 Dominion Energy Virginia has partnered with
19 different dynamic line ratings providers to install pilot
20 sensors and assess to provide line rating data. The pilots
21 have been focused on the evaluation of the sensor
22 installation and validation of the dynamic data provided by
23 these sensors.

24 Currently, we're testing two different line
25 sensor products. The first one is a ground based sensor,

1 manufactured by LineVision, which is currently providing
2 measurements of ampacity loading, ground clearance,
3 conductor temperature, power flow, and dynamic line rating.

4
5 We are also working with EPRI to install three
6 sensors on three different 500 kV transmission lines for a 4
7 year long pilot program. These sensors would provide
8 similar information as the LineVision unit but using a
9 different methodology. With these pilots, Dominion energy
10 Virginia expects to gain experience in the installation and
11 data management/validation of the DLR systems.

12 Even with the execution of these pilot programs,
13 Dominion Energy Virginia foresees some challenges in the
14 implementation of a full DLR system. First, currently,
15 Dominion Energy Virginia's EMS system, does not have the
16 ability to incorporate DLR data.

17 And while we understand PJM has the capability,
18 we believe PJM or none of the operators have actually tried
19 to use this capability.

20 Second, a DLR system might introduce uncertainty
21 to operations due to unforeseeable weather conditions and
22 terrain discrepancies. Third, the opportunity to realize
23 increased line facility capacity through the use of higher
24 ambient wind speeds may be limited by substation terminal
25 equipment.

1 Fourth, the line and terminal equipment that
2 comprise a line facility, including line switches, line
3 leads, wave traps, substation conductors, and underground
4 line segments have different thermal characteristics than a
5 line conductor which may make full DLR implementation
6 difficult to achieve.

7 Dominion Energy Virginia supports the FERC staff
8 on their intentions and actions to study the benefits that
9 DLR can bring to the electric transmission industry.
10 Dominion Energy Virginia believes that the experience and
11 learning opportunities obtained from the pilot programs
12 referenced in the staff white paper and Dominion Energy
13 Virginia's own pilot programs can facilitate the adoption of
14 this technology into our system operations.

15 However, Dominion Energy Virginia believes more
16 pilot programs and studies are needed in order to gain more
17 operating experience about the installation, reliability and
18 use of DLR systems.

19 Dominion Energy Virginia is open to studying our
20 most congested transmission lines to determine how DLR can
21 be cost effective and feasible with existing system
22 constraints. Thank you for the opportunity to provide
23 comments.

24 MR. KOLKMANN: Thank you. We'll next turn to
25 Chad Thompson from ERCOT. Thanks Chad.

1 MR. THOMPSON: Good morning, my name is Chad
2 Thompson and I am the Senior Manager of Operations Support
3 at ERCOT. In this role, I am responsible for outage
4 coordination, next-day studies and engineering support for
5 ERCOT's real-time operations.

6 ERCOT began using Ambient Temperature-Adjusted
7 line ratings of AAR's in 2005, and these ratings are used in
8 both ERCOT's real-time network analyses like state estimator
9 and real-time contingency analysis, as well as its
10 operational off-line studies.

11 Additionally, ERCOT's forward-market applications
12 also consider dynamic ratings. The ERCOT Operations Model
13 includes nearly 7,000 transmission lines which are 60kV and
14 above higher voltage. And approximately two-thirds of those
15 lines are dynamically rated.

16 For a line to be dynamically rated, transmission
17 service providers submit a network model update request to
18 ERCOT which includes a static table of temperature-adjusted
19 ratings at 5 degree Fahrenheit increments.

20 ERCOT incorporates those model update requests
21 through its weekly network model database load process. And
22 dynamic rating update requests can also be implemented in
23 real-time as needed. The temperature in the table is
24 compared to the temperature in the ERCOT weather forecast
25 for the region where that line is located, and the

1 corresponding rating is used for that study or real-time
2 condition.

3 TSP's have the option to use the static table for
4 their real-time ratings or provide a telemetered rating
5 value as calculated by their systems, currently the ERCOT.
6 ERCOT will use the telemetered value first, and default back
7 to the static table in the event the telemetry is
8 interrupted.

9 As a result of this implementation, ERCOT has
10 observed a decrease in real-time congestion, as additional
11 transmission capacity on these lines is available during
12 off-line periods. In 2010, ERCOT published an article in
13 the IEEE Power & Energy Magazine, which illustrated some of
14 the congestion benefits that AARs can provide.

15 By making dynamic line rating information
16 available to market participants, the increased awareness of
17 the additional capacity of these lines can help market
18 participants make more informed financial decisions with
19 respect to perceived transmission congestion.

20 AARs do have some challenges, however those
21 challenges are very similar to those observed on
22 non-dynamically rated lines. For example, when a
23 dynamically rated line is upgraded, the TSP may fail to
24 update the rating information in the network model or in
25 the TSP's ICCP telemetry may fail as well.

1 As long as the rating information in the network
2 model is correct, and the data's telemetry quality is good
3 -- well, ERCOT's not going to have any indication that the
4 rating is no longer correct.

5 But when these discrepancies are discovered,
6 ERCOT quickly works with the TSP to correct the model, in
7 real-time, but significant congestion may have occurred
8 during that time.

9 Another issue is related to lines that have joint
10 or co-ownership. For their own reasons, a TSP may rate its
11 portion of a line different from the other ends that the
12 other TSP may own, and ERCOT uses the most conservative of
13 the ratings that are provided and that has caused some
14 confusion with our market participants in the past with
15 regards to which rating is correct.

16 Overall, ERCOT has experienced significant
17 benefit to its implementation of AARs. ERCOT is pleased to
18 be part of this panel and to share any further details of
19 its experience with AARs. I would be happy to answer any
20 questions you may have.

21 MR. KOLKMANN: Thanks Chad. We will next turn to
22 Babak Enayati, from National Grid.

23 MR. ENAYATI: Good morning. Thank you for the
24 opportunity to participate in this panel session. My name
25 is Babak Enayati with National Grid. I'm the manager of the

1 Technology Deployment team.

2 With an electricity network of roughly 9,000
3 miles of lines and almost 400 transmission substations,
4 National Grid is one of the largest transmission owners,
5 operating in the OSO New England and New York ISO or NYISO
6 control areas.

7 National Grid plans and operates its U.S.
8 transmission network based on seasonal ratings in New
9 England, on a case by case basis, upon request from ISO New
10 England, day ahead forecast ambient adjusted rating or AAR,
11 may be considered for reliable transmission operation.

12 In New York, National Grid's electric
13 transmission operations may consider real-time temperature
14 based rating for reliable grid operation of the transmission
15 system, but this is not considered in the day ahead capacity
16 forecast by NYISO.

17 To evaluate the benefits and challenges of
18 dynamic line rating, or DLR, over static line rating or
19 ambient adjusted rating, National Grid installed DLR
20 technologies on two 115kV transmission lines. Preliminary
21 findings and observations are as follows:

22 Challenges: Number 1 - Cyber Security. Not all
23 DLR vendors have their equipment certified to meet
24 utilities' digital risk and security requirements and so
25 integration to Energy Management Systems or EMS may require

1 additional time and resources.

2 Compliance with NERC Critical Infrastructure
3 Protection, or CIP standards, for line and tower-based
4 devices communicating with bulk power system substation RTUs
5 can also pose challenges.

6 Number 2 - Ability of the ISOs to accept and
7 utilize DLR data in their administration of electricity
8 market and reliable grid operations.

9 Number 3 - DLR forecast data calibration may take
10 a few weeks after the installation as the vendors utilize --
11 I should say, some vendors utilize neural network for their
12 forecast models.

13 Number 4 - Risks or issues
14 associated with the real-time variability of rating due to
15 changing environmental conditions like the rating, wind
16 speed, et cetera, and this can be summarized into three
17 different categories.

18 A - Impacts to real-time security constrained
19 dispatch. This is another variable with frequent changes
20 impacting the electric system on top of the renewables that
21 may require regulation and reserve to be re-examined long
22 term.

23 B - Transmission Owners and ISOs need the correct
24 tools to dynamically rate and redispatch in real-time adding
25 complexity to market and grid operations.

26 C - Market tariffs may need to be changed to

1 allow customers to be compensated for additional capacity.
2 How will, for example, how will National Grid NY customers
3 that hold Transmission Congestion Contracts be compensated
4 for additional capacity and what are the financial risks
5 associated with increased variability caused by real-time
6 changes in ratings?

7 Back to the challenges, number 5 -- Need for
8 adequate coverage of line segments with sensors to yield the
9 right answer. The geographic location of line spans plays a
10 key role in the DLR data estimation. Therefore, more than
11 one sensor may be needed to adequately cover the line
12 segments.

13 Moving on to benefits, Number 1 -- The DLR data
14 associated with the two National Grid installations indicate
15 that real-time line rating is generally higher than the
16 seasonal static rating. The available capacity above the
17 static rating is critical during operations and system
18 contingencies.

19 However, there were limited periods when the
20 dynamic rating of the line was lower than the static rating.
21 This happened during hot days with little to no wind. This
22 highlights the importance of DLR technologies as they
23 provide better visibility over line capacity for TROs and
24 ISOs.

25 Number 2 - Economic benefits and potential

1 congestion relief: This potential benefit depends on ISOs
2 changing market rules such that incentives are provided to
3 those entities that create capacity above static ratings.

4 Number 3 - Renewable integration: Additional
5 line capacity allows higher integration of renewable
6 generation on the electric transmission system.

7 Last, recommendations: National Grid supports
8 use of DLR where it can reasonably provide value to
9 customers. We encourage the Commission to continue to
10 explore the policies that would drive adoption to improve
11 system operations and create economic benefits.

12 National Grid believes that the Commission's
13 transmission incentives policy is an available mechanism to
14 facilitate greater deployment. In our comments in response
15 to the Commission's Notice of Inquiry on Transmission
16 Incentives, we highlighted the trends changing the future of
17 the transmission system, including the challenges of
18 adapting to increasing renewable energy generation,
19 ambitious state clean energy goals, evolving customer
20 expectations, and role increased adoption of technology can
21 play.

22 National Grid suggested that the Commission look
23 specifically at new ways in incentivize advanced
24 technologies that will make the grid more efficient, improve
25 operational flexibility, and reduce congestion costs. We

1 noted that the technologies like dynamic line rating could
2 help fulfill the Commission's statutory mandate under
3 Section 219 of the Federal Power Act to encourage deployment
4 of transmission technologies to increase the capacity and
5 efficiency of existing transmission facilities and improve
6 the operation of the facilities.

7 We highlighted that DLR could produce significant
8 real-time capacity gains above static line ratings.
9 Consequently, investments in dynamic line rating could
10 improve transmission operation, utilization and flexibility,
11 as well as maximize the economic value of the transmission
12 system.

13 As the subject to this Conference is to consider
14 appropriate action with respect to line rating, we would
15 encourage the Commission to use input from these discussions
16 in its assessment of transmission incentives.

17 Thank you for your time, and I look forward to
18 participating in the Q and A.

19 MR. KOLKMANN: Thank you, we'll next turn to
20 Charlie Xu.

21 MR. XU: Well first, thank you very much for
22 having us up here and for organizing a meeting to discuss
23 the transmission.

24 Okay, so we are New York Power, we are
25 established in 1931. We are the largest state public

1 electric utility in the United States. So, we are a power
2 plant and power lines, we have like 1,400 hundred miles of
3 high voltage lines. So, this is like bulk transmission
4 substation power generation, so I don't want to talk about
5 the details about where we are because I think the first
6 panel already did.

7 So, this slide shows you know, how we have done
8 for the DLR. We tried different technologies. We tried
9 CAT, we tried like a weather station, we've had thermal
10 rate, by different technologies, all these present to us, it
11 goes to DOE back to 2009, 2010 and the slide, it's like
12 project tasks sponsored by NYSERDA, you know, like the New
13 York State DOE, so we tried all the different technologies.

14 So, this is some of the data we got from the --
15 actually from the CAT system. So, we tried different
16 technology and we observe it. And so, this shows what we
17 have done and what we are doing now ultimately with the OH
18 DLR. We are now the bulk of the DLR that's what we
19 discussed in the first panel.

20 It's not easy to adjust MDR because you know the
21 rating can change very fast. So, to use the DLR you need to
22 do some kind of forecast, so now we have a forecast DR
23 person, it's sponsored also by NYSERDA, you know, like New
24 York DOE.

25 And we're going to demo the DLR part to try the

1 pressure at the 70 mile line and then we're going to get a
2 real-time on the adjust rating, and the bulk rating for the
3 pressure. So, I think I want to mention you know, for this
4 pressure we are going to get a stand-by rating for the line,
5 because I think that's critical for us, you know, I don't
6 want to allow you to -- if you want to really operate the
7 line you need to know every span rate, not only you know,
8 some span rates, because you know when you do the rating you
9 don't want the temperature higher in any single span, so
10 that's why I think this is one advantage of this technology.

11 So, besides the OH dynamic rating, we are also
12 looking to underground cable because we also have like about
13 40 miles of underground cable. Compared with overhead --
14 overhead you know, the driving force of the wind and the
15 wind direction and the wind speed can change in 5 minutes,
16 very dramatically, but for the underground cable the driving
17 force or the dominant or similar property, earth ambient
18 temperature and so it's much more easy to use because of the
19 earth ambient temperature.

20 The earth like similar temperature, not changing
21 in 5 minutes, so we are looking to this technology now. So,
22 to summarize, we learned best on what we have done for the
23 real-time DLR. In the past, maybe now it's better. We know
24 the indication is not very reliable, so I think in the
25 future if you know the winters can provide the DLR with more

1 reliable information would be good because if you want to
2 operate a line with DLR, only 100% of that basis must at
3 least be 98-99% of reliability because the produced DLR
4 projects.

5 I don't want them in the winter, I think overall
6 the ability in communication is only about a 70 or 80% of
7 reliability, so we cannot operate a line with this
8 communication reliability. So, I think now we are also
9 looking to ambient adjusted. I think for now the real-time
10 DLR, is used for overhead lines, is kind of like they rely
11 on wind, but you cannot adjust what wind speed and direction
12 is going to be tomorrow like to maybe -- for forecasts.

13 So, I think the ambient adjusted rating now is
14 like between real-time and so we are going to look into this
15 technology. And so, as well we are looking to the
16 underground cable DLR because you know, it's easier to
17 implement it.

18 So, this is lessons that we learned from the
19 past. Thank you very much.

20 MR. KOLKMANN: Thank you. We'll next turn to
21 Howard Gugel, from Gugel -- sorry, from NERC.

22 MR. GUGEL: I get confused with the surgeons all
23 the time. Good morning, my name is Howard Gugel, I'm the
24 Vice President of Engineering and Standards at North
25 American Electric Reliability Corporation, or NERC.

1 NERC's mission, as the Electric Reliability
2 Organization, is to assure the reliability and security of
3 the bulk power system in North America. I've been at NERC
4 for about ten years and prior to NERC, served in areas of
5 transmission planning, operations, and maintenance for
6 several electric utilities at the U.S.

7 I have 30 years of experience working in the
8 electric industry and am pleased to speak with you today
9 about NERC's perspective on dynamic line ratings. I hope to
10 appropriately communicate to you NERC's support for the
11 benefit of dynamic line ratings, while simultaneously noting
12 areas of caution that require attention and sometimes
13 pre-emptory mitigation to avoid inadvertent compromise of
14 reliability.

15 The first panel today did a really good job of
16 explaining the history and the different technologies that
17 are available for dynamic line ratings, but it's important
18 to note that the overall rating of a transmission line goes
19 far beyond just the conductor temperature and wind speed.
20 All circuit elements must be included.

21 Other things that have a direct bearing on a
22 circuit rating include current transformer ratings, in-line
23 disconnect switch ratings, circuit breaker ratings, and
24 system protection relay settings. Relay settings played
25 significant roles in blackouts, including the 1965 Northeast

1 Blackout, and led to the development and implementation of
2 NERC Standard PRC-023 on relay loadability.

3 Additionally, in the 2003 blackout, discrepancies
4 in line ratings between some transmission owners and
5 transmission operators, or reliability coordinators caused
6 significant confusion. In one case, there were three
7 separate ratings for one particular circuit. The
8 discrepancies were further exacerbated by limitations of a
9 short, approximately 10 foot copper strain bus within a
10 substation.

11 Although it was very short, its lower current
12 carrying capability, lower than the line's conductor, was
13 recognized as the current carrying limit for the circuit.
14 Disturbances like these demonstrated the need for standards
15 to provide for consistent ratings. As I'll discuss, these
16 standards allow the use of dynamic line ratings subject to
17 the requirements of the standards, but some consideration
18 should occur prior to implementation.

19 The purpose of NERC's Reliability Standard
20 FAC-008-3 is to ensure that facility ratings used in the
21 reliable planning and operation of the Bulk Electric System
22 are determined based on technically sound principles. A
23 facility rating is essential for the determination of system
24 operating limits.

25 As such, the standard requires generator owners

1 and transmission owners to have a documented methodology for
2 determining facility ratings for its facilities that are
3 consistent with at least one of the following:

4 Ratings provided by equipment manufacturers, or
5 obtained from equipment manufacturing specifications, such
6 as nameplate ratings.

7 One or more industry standards developed through
8 an open process such as the IEEE, or CIGRE, or a practice
9 that's been verified by testing, performance history or
10 engineering analysis.

11 Further, they are required to document the
12 underlying assumptions, design criteria, and methods used to
13 determine the facility ratings, including identification of
14 how ambient conditions were considered. While FAC-008-3
15 does not require entities to vary facility ratings based on
16 different ambient conditions, it does require the
17 consideration of ambient conditions.

18 It further does not prohibit an entity from
19 establishing dynamic ratings on any of its facilities,
20 provided that the documented methodology explains how those
21 ratings are established.

22 Another limitation for line ratings is found in
23 the testing criteria for Standard PRC-23. Those criteria
24 are used to determine if a circuit could ever get highly
25 loaded enough under varying operating conditions as to

1 require a mitigation of relay loadability limitations for
2 that circuit.

3 Similar testing criteria would be appropriate for
4 any transmission circuit being considered for application of
5 dynamic line ratings. Some circuits cannot be physically
6 loaded anywhere near their thermal limitations under any
7 foreseeable operating conditions because of terminal
8 equipment limitations.

9 While the NERC reliability standards allow for an
10 entity to implement dynamic line ratings, there are many
11 considerations that should occur prior to implementing those
12 ratings. For example, an entity must know and understand
13 how substation equipment may affect the capacity of
14 transmission lines.

15 A 1200 amp switch or current transformer may be
16 the limiting element of a transmission line rather than the
17 conductor itself, and as such may limit the usefulness of
18 implementation of dynamic capacity on that circuit. In
19 addition, there are limitations on how dynamic ratings can
20 be used in planning studies, since they are highly dependent
21 on specific ambient conditions that are not available at all
22 hours. This will also impact how system operating limits
23 can be established, and how available transfer capability
24 can be done.

25 Dynamic line ratings can be used to provide

1 system operators a little extra margin that may only be
2 needed a few hours out of every year. How those dynamic
3 line ratings are communicated in real-time operations is a
4 priority consideration.

5 Reliability coordinators, transmission operators,
6 and the operational study groups supporting them must have
7 ratings on adjacent transmission systems to understand
8 interactions including parallel flow impacts. Clearly, they
9 must have visibility of these ratings as they change up or
10 down.

11 These communication and control channels will
12 need to be cyber secure. Adulterating real-time facility
13 ratings information could degrade the situational awareness
14 of system operators, potentially affecting the reliable
15 operation of the bulk power system.

16 Since information gathered would adversely impact
17 the reliable operation of the BES within 15 minutes of the
18 activation or exercise of the compromise, and that
19 information would be provided to a reliability coordinator
20 and/or a transmission operator, it may cause a transmission
21 line that was previously determined to be a low impact to be
22 a higher impact.

23 Finally, the methodology for establishing line
24 ratings often incorporate a margin into them that can
25 accommodate may unknowns as well as some knowns that are not

1 quantified exactly.

2 An adequate capacity safety margin is essential
3 to ensuring that the bulk power system does not operate in
4 an unknown state. This was a key finding in the
5 investigation of the 2003 blackout and was a driver in the
6 establishment of both FAC-003 and PRC-23. Thank you for
7 your consideration and I look forward to providing input to
8 the discussion.

9 MR. KOLKMANN: Thank you Howard. We'll next turn
10 to Shawn Murphy of PJM.

11 MR. MURPHY: Good morning. I'm just going to
12 jump around my prepared remarks a little bit and just call
13 out the points that I think are relevant to this discussion.
14 So, first of all through the remarks I mention that PJM has
15 done a handful of pilot projects with some of the vendors in
16 this room.

17 The first one was back in 2016 and that was
18 working with AEP, one of our transmission owners, and
19 Genscape, now LineVision, to pilot a project. The results
20 from that were documented. I have my references here as
21 well.

22 The results from that were very consistent with
23 what we saw in the first panel as far as the additional
24 capacity above the static ratings, the majority of the
25 times, at a very small amount of time, we saw that that

1 dynamic rating was lower than static and we'll get into that
2 in a couple of minutes.

3 Following that analysis, from what we saw with
4 the additional capacity on that line, we were really
5 intrigued as far as what the economic benefits might be in
6 an RTO environment. PJM conducted a production cost
7 forecasting study. So, we used our PROMOD economic
8 analysis tool to forecast the hypothetical dynamic line
9 rating installation in PJM.

10 LineVision helped us out by looking at the
11 historical weather data for our target line, developed what
12 those dynamic ratings might have been. We loaded those
13 ratings into PROMOD and compared it with a base case
14 analysis.

15 Again, we published a paper and I think it's a
16 really good read. It's got some real good detail in it.
17 The takeaway is the 4.2 million dollar savings that we
18 referenced, so the target line that we focused on PJM's
19 footprint saw 11 million dollars of congestion on it through
20 that year, 7 million dollars of that was off-flowed to
21 downstream and parallel lines, which is really consistent
22 with any other upgrade that you would do.

23 If you upgrade a particular facility that's
24 adjusted, you're going to import power down and then it's
25 going to run into the next limiting element, but the

1 takeaway there is the 4.2 million dollar net savings per
2 year.

3 We also conducted a pilot project with Lindsey,
4 again in the AEP footprint. That was focused more on
5 investigating co-convections and looking at the relationship
6 between the dynamic line ratings and the output of a wind
7 farm in the area and again, we saw a good correlation
8 between those two things.

9 Technologically, PJM has implemented ambient
10 adjusted ratings. This was mentioned earlier. We use that
11 with the majority of our transmission owners. They
12 communicate what the ambient adjusted ratings are going to
13 be. It's my understanding that we've implemented a dynamic
14 line rating project in the past. It was a dynamically rated
15 cable, it was a long time ago, but from discussions with our
16 EMS engineers, we received a dynamic rating in the last and
17 loaded it into our EMS.

18 I'm fully sure that to receive dynamic ratings
19 now, we would need to take a look back at that
20 implementation, but it is something that we're familiar
21 with.

22 Getting back to my original comments on our
23 initial study, looking at the additional capacity, we
24 obviously see an economic benefit when we have a dynamic
25 rating that's above the static rating. We looked at PROMOD

1 and that validated our initial impact, but also, we see
2 benefits from reliability.

3 When we do have a dynamic rating that's below the
4 static, we're calling to attention that facility can't
5 handle what the static rating might be documenting. So, we
6 see in either case, there's a benefit to the transmission
7 owner and to PJM by having a more accurate facility rating.

8

9 It's important to kind of differentiate what a
10 transmission project might be implemented to address, so
11 it's important to kind of differentiate between reliability
12 needs and I think that was discussed earlier this morning as
13 well.

14 We would not want to assess that the system is
15 going to be reliable on a dynamic rating above the static in
16 a future looking planning case. However, our market
17 efficiency process seems like a logical fit for a dynamic
18 line rating project to be submitted, and in that we would do
19 a similar PROMOD analysis and look at what the market
20 benefit is of that particular project that was proposed.

21 We definitely see the engagement of the
22 transmission owner as you know, a top priority for PJM.
23 Talking earlier today about the forecasting as something
24 that we definitely see a need for, things like the
25 confidence intervals, who decides that? You know, that

1 would definitely need to be a discussion with the
2 transmission owner.

3 Some of the things that Howard mentioned as far
4 as the limiting elements, it might not just be the
5 conductor, it might be substation equipment or something
6 along the line that we need to be aware of. PJM doesn't
7 have full visibility into that. We get the ratings from our
8 transmission owners, so we would certainly need to engage
9 them on implementing a dynamic line rating project, maybe
10 its capped at the next limiting element on that same
11 transmission facility.

12 There are two kind of areas of future exploration
13 that we propose, the first of which being the incentives to
14 build that have also been discussed earlier today, but
15 comparing what the incentives are for building a new line or
16 operating that line versus implementing a dynamic line
17 rating project for other advanced technologies for that
18 matter -- they really don't compare as far as what the
19 economic drivers are from a business perspective.

20 The second area that we kind of propose for
21 future exploration is engaging with NERC on some initiatives
22 to develop -- I would say a more cohesive philosophy on
23 static line rates, ambient adjusted ratings and of course
24 dynamic line rating, and have that discussion with the
25 industry as far as how would we implement this and what are

1 all of the engineering concerns that the asset owner will be
2 faced with if the dynamic line rating project was installed,
3 thank you.

4 MR. KOLKMANN: Thank you. I'll start off today,
5 if at any point you guys want to talk, and multiple people
6 want to answer please feel free. Recognizing that the
7 answer is going to depend on location and its going to
8 depend on relevant conditions, how much of a ratings boost
9 have you people seen with regard to implementing wind and
10 sunlight precipitation relative to this temperature? What
11 have your test results seen?

12 MR. VELEZ: So, this is Francisco from Dominion
13 Energy. As I mentioned in my comments at this point we're
14 still analyzing the data from LineVision, so presenters to
15 provide any comments around that.

16 MR. GUGEL: I can provide a quick comment on
17 that. So, in the distribution that we saw earlier on the
18 earlier slide, it's easy to get excited by looking at the
19 additional capacity that you get for a small percentage of
20 the time. And our experience in talking with the vendors,
21 you're going to see a moderate increase in the capacity, I
22 would say between 5 and 10% additional capacity before
23 you're going to run into the next limiting element either on
24 the transmission aspect or downstream or in parallel.

25 So, and it's possible that a regional

1 implementation could be used for those, you know, multiple
2 transmission assets or in parallel.

3 MR. JAMMALAMA: So, just from a developer's
4 perspective, and in my past utility life we're exploring
5 that. One of my first jobs was actually calibrating the
6 technologies to establish those and generally the
7 assumptions, the wind speed assumptions, those are between 2
8 and 3 miles an hour, generally speaking.

9 Most of them can't even -- at those speeds, they
10 need 9 or 10 mile wind speeds. So, if you are presuming
11 that some wind is blowing on the system between 9 and 10
12 miles an hour, you can usually see -- and just isolating
13 that circuit itself, just for capacity can easily see 15 to
14 20% rising in the capacity, which is very reasonable.

15 And again, isolating that facility and not the
16 natural impacts of completing the rating where the next, you
17 know, natural limit will be. But when you just look at
18 thermal ampacity on establishing -- and if your conductor
19 was a particular element, you should be able to see at least
20 15 to 20% increase at a minimum, by moving it to a decent
21 wind.

22 MR. ENAYATI: I mean I can add more. In terms of
23 National Grid's experience, we're not ready to make a
24 generic statement on the actual capacity increase because
25 these pilots have been -- the project has been in service

1 for a little over a month, but the data that we've received
2 so far shows that the majority of the time an average I
3 agree, so in average again 15 to 20% capacity increase is
4 what we've seen on both lines.

5 And sometimes of the day capacity was higher,
6 sometimes lower, but capacity would average.

7 MR. JAMMALAMA: Yeah, based on some of our
8 products, the results, we actually have a sensor close to
9 the wind pump, so I think there's some kind of like
10 emulation between the wind pump output and the DLR. We do
11 some kind of like relation between the two but we also see
12 some kind of like exception, because you know the lines lie
13 very long, so you know, if the line angle changes some
14 location or some spot, the DLR number can also be low, so
15 kind of we might need to put some sensor, or some kind of
16 device there to monitor DLR before you can decide it, this
17 is some of the things we learned.

18 MR. KOLKMANN: So, a number of you mentioned
19 renewables. Building off of that point, and understanding
20 that it's absolutely important to plan for the worst case
21 conditions, both transmission planning interconnections, but
22 are panelists aware of any approach that uses DLR's to take
23 advantage of the correlation between wind generation and the
24 cooling of lines?

25 Is there a possible symbiosis there?

1 MR. JAMMALAM: There is, but that is something
2 that would not be in a conquered --

3 MR. KOLKMANN: Yeah, and I'm wondering like have
4 we seen this, has anyone thought about this in the context
5 of the interconnection process specifically?

6 MR. JAMMALAM: We have been pushing for that as
7 interconnection. I mean someone who puts in a connection, a
8 connection that goes across the system and yet as you can
9 the ISOs have been saying that there isn't capacity on the
10 system for a majority of the times when you hit the limit on
11 the system, you just need an incremental amount of capacity
12 on those lines.

13 And then we are starting, for example, when
14 integration of interconnections, we're looking at the wind
15 farm, the nameplates. And at that point you really cannot
16 use a 2 mile or a 3 mile per hour assumption to calculate
17 our use, we established that equation. So, we have seen a
18 significant, you know, a facility is based on both static
19 limits which we would like some kind of relief.

20 Because most of the facilities either need a 3 or
21 5% relief for additional incremental capacity and it just so
22 happens that you know, you have to build a new line with
23 just 50 to 100 million dollars for that newer facility, when
24 you just needed an incremental amount.

25 Obviously, it depends on location and where it

1 is, but the majority of the interconnection studies don't
2 take into account, or in fact might be an exception in
3 certain regions, but apart from that, most regions have
4 interconnection customers have not seen that.

5 MR. JAMMALAMA: Yeah, I think as was seen in the
6 information in Panel 1, the cooling effect that you would
7 get from wind is highly dependent upon the angle of
8 incidents, right? So, the wind farm may be situation such
9 so they could take advantage of the wind blowing in a
10 certain direction, but transmission lines take varying
11 angles around and there's a good opportunity or a good
12 chance that while the angle of incident may be 93 at one
13 point, it may actually flow parallel on the line which would
14 kind of compound it rather than cooling, it might provide an
15 additional heating aspect.

16 MR. KOLKMANN: That's helpful. So, I have
17 another question. Can -- we heard that there's a certain
18 percentage of time in which either an AAR or a DLR might
19 come in lower than the status quo. Like, what percentage of
20 the time have panelists seen at this particular aspect? If
21 you could provide some help.

22 MR. JAMMALAMA: Yeah, I'll go first. So, again,
23 for this one month of data we just see some of the DLRs, the
24 percentage we've seen is like 4% -- 4 to 5%, and but you
25 know, as we get more information in for longer durations

1 that percentage may change, but that percentage we've seen
2 the past month.

3 MR. XU: Just the way they want to end up -- so
4 before I worked for this utility, I worked with Wind Earth.
5 We had a lot of projects in different countries, so from the
6 data I saw, all different zones of assumption of the
7 utility. If you assume a 3% wind speed versus 2% wind
8 speed, it's much different.

9 So, I think from what I saw, I think most likely
10 around 5% for a three feet per second assumption. Also, it
11 depends on the ambient temperature as well as solar. You
12 may cycle zero like the watts per minute square, some you're
13 going to use 100 -- 1,000 to meet watts per minute square in
14 all effects, so it all depends.

15 MR. THOMPSON: Yeah, and this is Chad, if I could
16 just add to that. At least from the ERCOT side with regards
17 to ambient temperatures, the majority of the line ratings
18 that come in are rated based at -- they're static or their
19 nominal rating is usually about 104 degrees Fahrenheit value
20 and in parts of Texas, we get temperatures in the summer
21 time that are well above that.

22 So, we do see periods of time where we actually
23 -- if the actual temperature is above 104 degrees, the
24 dynamic or that nominal static rating, because that can't
25 happen.

1 MR. KOLKMANN: And you too raised the line?

2 MR. THOMPSON: Correct.

3 MR. KOLKMAN: And so, on building on that
4 concern, what -- in terms of the use of either DLR's or
5 AAR's in the day ahead markets, we spoke a lot about
6 forecasting, obviously, in the previous panel. But what are
7 your perspectives on whether or not a forecast can be made
8 conservative enough in order to use a forecast in a AAR or a
9 LDR in the day ahead market?

10 Recognizing that essentially can you make this
11 forecast conservative enough? Any thoughts on that and then
12 at the close of the day ahead market would be helpful.

13 MR. THOMPSON: Chad, I guess I'll start. The way
14 we are utilizing our forecast vendor and we're taking the
15 temperature data from that forecast in as one of the inputs
16 to our day ahead markets. So, we're already sort of taking
17 those risks into account when we enter our market, so you
18 know, again from the AAR perspective, we try to make strides
19 to implement that in a way that instead of just using that
20 nominal, or that static rating in the AAR, we can actually
21 utilize it in cooler weather to provide a little bit more
22 transmission to be sold in the day ahead market.

23 MR. JAMMALAMA: So, the previous panel spoke a
24 little bit about this on the level of confidence and the
25 hours at which you can actually pay the margins, so you can

1 have a 2 hour rating and now a 4 hour rating. You can have
2 a day ahead rating. You just need to figure out what kind
3 of margin you need to build, because today all day ahead
4 markets have some kind of margins within their forecasts.

5 Wind forecasting has come a long way. They're
6 forecasting loads to an error rate that has historically
7 been the lowest, so it's not -- and same thing with these
8 online tools that are running today. System operating
9 limits are being also forecasted day ahead and they are --
10 they have a significant amount of margins within, in terms
11 of transmission capability.

12 The same thing I don't think is very different.
13 The way I look at it is if something happens with the DLR
14 equipment, it's similar to a transmission, which is just one
15 of the balancing market of what the real-time market is.
16 They're actually to take care of that.

17 MS. GADANI: Thank you. A quick question. I'm
18 just trying to think about the challenges that the utilities
19 identified, or DOE has identified to implementation of DLR
20 more broadly. A couple people mentioned EMS system
21 limitations. Can someone talk a little bit more about that?

22 And then a second related question is in terms of
23 visibility of a system, I would assume that each utility
24 would appreciate knowing the line rating of their system and
25 limitations. Would these sensors of this technology help

1 with that visibility or be a challenge to deployment of
2 those technologies? So, it's a two-part question, but folks
3 can answer whichever.

4 MR. MURPHY: Yeah, I'll take a stab at it. But I
5 would say technologically uploading the static rating, the
6 ambient adjusted ratings for that matter in the EMS. You
7 have to build that capability for you to be able to adjust
8 obviously, but also the way that we adjust the rating at PJM
9 is based on what the transmission owner has indicated for
10 you to use.

11 Someone needs to go into the EMS and what that
12 rating set might be. Now, they can do that for a zone, for
13 a transmission zone within PJM, so it's not going through
14 each line in setting the ratings, but that is a procedural
15 task they need to perform.

16 To receive the dynamic line rating, we would now
17 need to set up a data link from that transmission owner with
18 that data point on it and then we would need to set up the
19 automation to close that in. I know that there's also a
20 concern with the volatility of the dynamic rating, you know,
21 setting the ambient adjusted rating gives the operator an
22 opportunity to kind of set what the ambient adjusted rating
23 might be.

24 The dynamic rating automatically loaded in, that
25 might cause concern.

1 MR. GUGEL: So, kind of a follow-up question on
2 that. How would you communicate that information to
3 adjacent reliability coordinators or adjacent ISO ROTs on
4 lines that would be on the perimeter?

5 MR. MURPHY: I suppose we would use the same
6 implementation of getting that rating from the utility
7 itself that we do real-time data exchange. I'm thinking it
8 would just be a SCATA point that we would communicate to our
9 neighboring reliability coordinators.

10 MR. ENAYATI: Yes, just to add to what was just
11 mentioned. So, in terms of EMS integration at my summary I
12 talked about the cyber concerns. Right now, our concern is
13 so, we have the bulk of our systems that you know, both
14 physical and cyber protection requirements. And having
15 these devices outside the station, like on the line or on
16 the tower, and keep in mind you know, a device on the
17 sensors of the tower they're like probably like 15-20 feet
18 above ground and so, having these devices communicate with
19 our DPS what are the cyber certifications needed.

20 As we went through these projects with the
21 vendors, they had to go through additional certification to
22 meet our requirements, so that's some of the concerns for
23 us. Just to let you know, we have not connected our DLRs to
24 our EMS yet, because the life portal, we want to see the
25 benefits first through the analyses and then in the larger

1 roll-out once the cyber issues are resolved and plus other
2 operational challenges, then that will be the next step.

3 MS. GADANI: So, just to ask the follow-up
4 question to that. So, in terms of the cyber deterrent, you
5 have other devices on the system that you use. How do you
6 -- basically, have you tested that and protected that?

7 MR. ENAYATI: So, typically -- well, not mainly
8 on the line, it's more like you know, so the station
9 communication that we have, you know, with our EMS. These
10 are all new devices coming on the system and we do have a
11 set of requirements for cyber, but we're also working with
12 INL, those requirements need to be updated and there's a big
13 -- I don't want to say unknown in our uncertainty, but
14 concern that needs to be resolved as soon as possible before
15 we allow, you know, the devices connected to our EMS.

16

17

18

19

20

21

22

23 MR. VALEZ: Yes, looking to our system operator
24 sensors, right now our EMS system does not have the
25 capabilities to access the line rating just by the time, but

1 we are working on that upgrade eventually, one year - two
2 years, to get it implemented and we can probably have DRL
3 capability.

4 MR. XU: A real case for DRL implementation, but
5 so I don't want to name the utility, actually they are now
6 using underground DRL, what they're using for cyber
7 security, all the issues. They have a server outside
8 connecting all the data to the DRL, and then there is a
9 server inside to pull the data from outside the cyber to
10 some costs for cyber security and then they put inside the
11 firewall, they have a server and check the number.

12 That's how you know sometimes, you know, the DLR
13 has some issues, to check out and these numbers are good,
14 that some of the data SCADA, and then to the ISO and this is
15 how they do. And on the unit case, DRL systems fail. They
16 were kind of like the operator has the options, they can
17 choose, you know, like a switch, go back to static, that's
18 what they do.

19 MR. MURPHY: Just to make one more quick point.
20 So, in this family of I'll say non-wires transmission
21 alternative, collecting the dynamic line rating
22 technologically is the easy part because they just kind of
23 passively collect that information and pass it along to the
24 facility and to the RTO.

25 Some of these other things, like the next

1 Technical Conference on the power control, that's really
2 complicated -- figuring out how do we dispatch a unit to
3 make a direct decision and how do we communicate that as
4 well?

5 So, these discussions of dealing with the cyber
6 security and the EMS capabilities, are really going to be
7 compounded when you look at something that you need to
8 directly control that.

9 MR. KHELOUSSI: This is Dan, thank you for all
10 the talent. Can I ask Chad to elaborate on Charlie's last
11 point about reverting to static rating concerns which falls
12 outside of a bounds or something like that? Because I know
13 in the ENCOR test pilot, this is elaborated on a DOE report,
14 so if you could just share some information.

15 MR. THOMPSON: Yeah, sure yeah, it's been a while
16 since I looked at ENCOR's report. Yeah, so and what my
17 recollection is they were able to take that DLR information
18 to the field and bring it into their EMS and I believe they
19 had a way to actually compare it against what they would
20 have thought the ambient rating would have been at the same
21 time and then they had the opportunity to make a decision on
22 which value they want to send to ERCOT by ICCP Inc.

23 So, that decision was made really on the ENCOR
24 side. For preliminary ratings that come into ERCOT, we do
25 compare that value against the table and if there is a delta

1 between what's the cable for that temperature inside that
2 they're sending in. I believe it's 10%, and we would be
3 kind of like just kind of an alarm to say hey, go check this
4 out and make sure that this value is correct.

5 And we do have an opportunity to kind of -- for
6 lack of a better stated term, this can inhibit that point
7 and so just back to our temperature rating that we're
8 calculating internally in the event that we believe that
9 value is incorrect. If that kind of helps.

10 MR. GUGEL: I would say, this is Howard. I would
11 say that while the data collection is probably fairly
12 straight forward coming in to that data, especially if it's
13 done, you know, outside of the fire wall, or just collected
14 from the field to make sure that it's not moved, or to make
15 sure that it's not changed.

16 You know, the concern would be if you had the
17 ability to do that, you could certainly compromise
18 reliability or do market manipulation if you wanted to, just
19 by simply changing those data points.

20 MR. KOLKMANN: To build upon some of the
21 experiences that we've had here. We've spoken about
22 forecasting obviously, but to confirm, do you guys think
23 that that's necessary to implement either AARs or DLRs?
24 And, how far forward do you typically need for that to occur
25 -- 24 hours, 2 hours, you know, for both real -time data.

1 MR. MURPHY: Forecasting is 100% necessary.
2 Looking back on the first panel, I thought it was a good
3 exercise, when we saw the slide with the big black box on it
4 and we saw what the real-time rating was. That doesn't do
5 me a lot of good because I need to know where it's going and
6 also having the additional capacity in real-time is great,
7 but my generation did that from the day ahead dispatch done
8 yesterday.

9

10

11

12 They're getting that forecasting in. You know,
13 we have to figure out the constant intervals, figure out how
14 do we implement day ahead versus real-time, but yeah,
15 without a doubt we need the forecasting.

16 MR. KOLKMANN: And constant intervals are
17 determined in order, question?

18 MR. MURPHY: I don't know who, yes, certainly
19 needs to be involved, yes. You know, in the line movement
20 and the methodology of the static rating.

21 MR. XU: Yeah, I think now ISO relies on us to
22 communicate to provide these numbers, but we are taking all
23 the reasons, so yes.

24 MR. KOLKMANN: How often -- when you're
25 implementing either AARs or DLRs, how often would you expect

1 for the rating to change? Would -- this is getting back to
2 forecasting, would you expect the rating to change 5
3 minutes, 15 minutes, hourly? What kind of granularity
4 changes would you expect?

5 MR. VELEZ: This is Dominion. Again, so
6 obviously the temperature changes throughout the day, right?
7 What we do in our operating center right now with AARs, at
8 least twice a day, with those ratings. I mean that depends
9 on the, you know, level of activity in the brain center,
10 with the shift supervisor on the floor.

11 He's taking a look at the temperature and he's
12 deciding whether or not he needs to adjust those ratings.
13 So, if he decides, you know, the ratings he selected an hour
14 ago, two hours ago, needs to be changed because that's of
15 the way the temperature.

16 MR. ENAYATI: In our experience with National
17 Grid, our sensors send this data every 10 minutes and we are
18 seeing some changes, you know, between the two measurements
19 and we haven't changed that, so I can't give you the exact
20 number what we would be comfortable with, but even with that
21 10 minute measurement frequency there are some changes we're
22 seeing in terms of line rating.

23 MR. KHELOUSSI: Can I ask Shaun, so Francisco
24 mentioned maybe twice today that's kind of the standards for
25 their much more frequent, are there other facilities that

1 move the rating around?

2 MR. MURPHY: So, from my experience that's about
3 consistent. We do have transmission owners that use winter
4 and summer ratings, so that's much less frequent.

5 I would also say when we have a line that's
6 congested, that's when the conversation starts between PJM
7 and the transmission owner. What is the ambient adjusted
8 rating that we've applied, whichever one is more
9 conservative is what we're going to operate to, and then we
10 defer to the transmission owner, they want to take a look
11 back at the ambient temperature specific, so that congested
12 element, we may make a deviation from there as well.

13 MR. THOMPSON: Yeah, I was getting ready to put
14 my card up. So, from the ambient side. We're running a
15 real-time market every 5 minutes. We're running our state
16 estimator in a real-time contingency now every 5 minutes.
17 So, we would be able to respond to any change in the rating
18 if it did come in that time period, and we're able to
19 dispatch on it in real-time at 5 minute granularity needed.

20 Our day ahead market and our reliability unit
21 commitment applications are running on an hourly basis.
22 They would be picked-up based on -- once you get outside of
23 real-time, we're going to be defaulting to that cable that's
24 going against our weather forecasting anyway, with regards
25 to what the rating is to look for the rest of the operating.

1 MR. KHELOUSSI: Following-up on Shaun's point.
2 You said, you know, when congestion gets to a certain
3 degree, when you start that conversation. I'm not sure
4 exactly, what I want to ask about that, but basically would
5 it be valuable to the facilities if you -- anyone can
6 answer, if you would like provide occasional study or
7 comment not -- I don't want to call it mad hunt basis, but
8 something a little more regular or where the RTO gives you
9 some study, yeah -- anyone can answer.

10 MR. KOLKMANN: What line would be a good
11 candidate for helping to form your own study?

12 MR. GUGEL: I don't want to speak out of turn,
13 but I would suspect that the first areas folks would look at
14 would be any lines that consistently showed up consistent
15 operating limits, or IROLs and whether or not that was based
16 on stability issues or whether it was based on thermal
17 issues.

18 That would probably -- to me, that would be the
19 first area that you could probably get the biggest bang for
20 your buck.

21 MR. THOMPSON: So, this is Chad. I'll start by
22 taking a little bit of a step back. When our real-time
23 applications run, our analysis results are actually posted
24 on our secure, our information system website. So, when the
25 congestion shows it's starting, it's made available to them

1 to see what's showing up in real-time, and that includes the
2 facilities, hey one of my lines is showing up we're very
3 overloaded, that rating doesn't look right.

4 So, it gives them an opportunity to actually go
5 back and kind of trouble shoot it or evaluate whether or not
6 they think those rates are correct. For lines that in
7 real-time that we do have some issues in the management or
8 coming up with operating plans and things like that to
9 evaluate, one of the first things we look at typically is
10 the rating of the line.

11 And if that line is one of the handful that we
12 have in our model that isn't dynamically rated, we will
13 reach out to them and to the impacted CEO and say hey, you
14 know, is this a line you think is a candidate for making the
15 grade? And they may take that back with their modeling
16 folks and their engineering staff to decide if that's a
17 feasible option.

18 MR. DAUTEL: So, this is Tom. A follow-up to
19 that is that kind of study, would you feel that some kind of
20 requirement for a periodic study that would examine the
21 cost-effectiveness of implementing either AARs with DLRs on
22 maybe even those congested lines, or some other way of
23 identifying candidate lines would be appropriate or useful
24 or not?

25 MR. JAMMALAMA: And maybe this is moving a little

1 bit out of operations, entering into planning, but the
2 planning processes are there to figure it out and part of
3 the long-term assessment for PJM's, RCAP from MISO, NCAP,
4 there needs to be a point where it should become, I mean as
5 an alternative to transmission, so non-transmission, I think
6 any of the economic issues that they're seeing in their
7 economic study was part of the long-term transmission plan
8 and process.

9 It's definitely something I think we should --
10 I'm told to look at. Right now, they're looking at storage,
11 you know, that's the new thing as can it help fix any
12 issues, but this has to be similar to that. If you're
13 seeing congestion, economic studies are projecting
14 congestion, what's the nature of that and if we can use the
15 DLR on any kind of power flow device, you actually need
16 that, that should be investigated in the planning process.

17 MR. ENAYATI: Just to -- I want to echo what was
18 just mentioned. Recent studies should be added to the
19 planning process, identify lines that you mentioned before,
20 the actual rate current for the line is supposed to be the
21 rating of the line's static rating so that those are the
22 priorities in terms of reliability, but in addition to that
23 in our service territory, we are seeing a high penetration
24 of renewable generation on the distribution side.

25 And that actually back feeds -- well, through the

1 transmission, it's high enough in some areas, we are seeing
2 the power is getting close to the transmission line rating,
3 the static rating. So, having the technology studies done
4 to understand the benefits of DLR can be beneficial, because
5 we went to solar, you don't have solar at peak all the time,
6 so for those 2 hours, it's really just the rating of the
7 line above what you see as static rating and can that defer
8 capital investment, these are all of the questions that can
9 be answered in the study.

10 MR. MURPHY: I think requiring that such a study
11 would lead us down a path that if it's PJM identifying where
12 those dynamic line ratings should be installed that we
13 inform the transmission owner. The next question is going
14 to be from the transmission owner -- are you requiring me to
15 do this?

16 We need an answer for that. Or, if PJM is trying
17 to say hey, it might be worthwhile for someone to do this,
18 what's in it for the utility? What is the incentive for the
19 utility to go out and do that? I think a more consistent
20 process would be using our market efficiency process of
21 letting the market propose whether it be DLR, whether it be
22 battery transmission, or wire, what have you, for that
23 project participant to propose what it should be and then we
24 would analyze it.

25 MR. KOLKMANN: Yeah, I didn't mean to apply that

1 it would be an RTO requirement. I think we're at the very
2 early stages of thinking of that. Is there a reason that it
3 couldn't be a TO that would do a study like that?

4 MR. MURPHY: I think they certainly could. I'm
5 just -- what was the next line of questioning be? How would
6 they fund it?

7 MR. KHELOUSSI: So, we touched upon this a little
8 bit, but our understanding is that from time to time RTOs
9 will -- they'll seek justice. And they will subsequently
10 ask for -- ask a transmission owner for an updated rating if
11 that's possible in real-time.

12 And actuall

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12

13 y, I think this is typically done for reliability reasons.
14 Obviously, there are good reasons for this to happen.
15 Taking advantage of different temperature, this is what the
16 seasonal rating is, actual temperature is. Are you guys
17 familiar with this?

18 And are there any other reasons why this might
19 occur other than this reliability reason? Oh, sorry I can
20 repeat it. We -- I understand that from time to time there
21 -- in the event of a reliability concern that an RTO may
22 have, you may have an RTO that reaches out to a transmission
23 owner and says well, I understand that might be helpful to
24 alleviate this reliability concern to have some kind of
25 higher efficiency rating because I know that's what the

1 planning says the temperature is supposed to be, and this is
2 what it actually is.

3 And I'm wondering if people are familiar with
4 this process, maybe it's occurred. And two, why else -- why
5 might it be done other than reliability reasons, if at all?

6 MR. ENAYATI: So, this is exactly what's right
7 now, so that's the process to go with static rating on a
8 case by case basis. ISO New England, based on their
9 operations, procedures and if they see any issues that come
10 online potentially, overload is based on the static rating.
11 They contact us, and then we'd have that discussion with
12 them to provide the ambient adjusted rate.

13 MR. THOMPSON: So, I mean, for lack of a term, it
14 never hurts to ask, right? And that's really what we do in
15 real-time is we just ask the question because you know,
16 there's a lot of going on in the ERCOT interconnection right
17 now. There's a lot of things moving on, and people are
18 always constantly observing their equipment and evaluating,
19 you know, evaluating their system as normal ways to just do
20 maintenance on their system.

21 And so, that's why we asked the question in
22 real-time, is typically we're on our way to creating an
23 operating plan for that particular operation because changes
24 are there may not be a dispatch solution for that
25 constraint.

1 So, if we're having to come up with an operating
2 plan, if there's a higher rating that we can operate to, and
3 if we -- what we do, we talked about this a little bit. You
4 know, we manage our post constraints to 2 hours, we call it
5 an emergency rating.

6 So, if there's a way that we can get a higher 2
7 hour rating, you know, that will actually help us kind of
8 diminish the degree of effort that we need to go into with
9 regards to creating an operating event. Maybe with fewer
10 loads, fewer megawatts of load shed if we're creating a
11 load, some thing like that. So, you know, ask the question
12 first because you never know.

13 MR. CORBETT: Alright, I come more from the
14 reliability side, so there's a few things I would like to
15 get on the table here. First of all, would you like to
16 speak to what is the minimum required wind speed, just for a
17 wind facility to obtain its nameplate output?

18 MR. JAMMALAMA: So, the carton speeds are
19 typically between just to pick on the power for it to get
20 out what you need is between 20 to 25 miles an hour, that's
21 almost ten times the standard assumption of the static
22 basis.

23 MR. CORBETT: I would point out that most of
24 these static ratings are basically based on possibly zero
25 wind.

1 MR. JAMMALAMA: I'd like to believe that based on
2 between 2 to 3 miles an hour.

3 MR. CORBETT: Well maybe if they switch it to
4 like an emergency rating, but many for normal rating would
5 be zero feet per second, 10 miles per hour for wind. So, I
6 wanted to get that on the table first.

7 MR. ENAYATI: Maybe I can share our experience
8 that for us it's 2 miles per hour static rating, 100 degrees
9 Fahrenheit for summer, 50 for winter, that's how we rate the
10 static.

11 MR. XU: We are just like 3 feet per second for
12 the static.

13 MR. CORBETT: For the normal rating?

14 MR. XU: Yes, 3 feet per second.

15 MR. VELEZ: With Dominion it's 3 feet per second.

16 MR. MURPHY: Alright there would still be a
17 natural connection that I referenced earlier the IEEE
18 standards, the natural connection, I don't know what you've
19 worked out, even if there's zero winds blowing, you're still
20 going to have a connection.

21 MR. CORBETT: Well, I'm glad to hear that. My
22 experience has been the less wind, so that's good. Number
23 two is you know, we talk about release of capacity that we
24 can anticipate by using either AAR or DLR, so released
25 capacity relative to the transmission owner's rating

1 methodology, correct? So, you know, we see instances in a
2 few percentages of the time when the rating might be lower
3 than what the rating -- static rating is in the summer.

4 However, during the winter periods, as many rate
5 their facilities at 32 degrees Fahrenheit, I'm seeing the
6 ratings being stated maybe possibly at 91% of the time. So,
7 what do you see in regard to addressing this phenomenon
8 during the winter season with the static rating is -- should
9 we say, very possibly exceeded 91% of the time, or some type
10 of percentage?

11 MR. JAMMALAMA: Maybe just to follow-up, so the
12 question is that due to whatever reason, our ramping
13 temperature during winter your experience has been that the
14 DLRs are projecting much higher transmission capacity than
15 the static ratings -- the 91% opposed to that within the DLR
16 and the static rating.

17 MR. CORBETT: No, I'm just saying the temperature
18 is exceeding let's say the 32 degrees Fahrenheit
19 temperature.

20 MR. JAMMALAMA: So, I think Chad can speak a
21 little bit. I believe they take that into account where
22 they're using it and the temperature calculates what it
23 would be with respect to what assumptions were and the
24 static rating was calculated at.

25 MR. CORBETT: So, this would be pivoting away

1 from the seasonal static rating of let's say just a flat out
2 32 degrees Fahrenheit?

3 MR. THOMPSON: So, I wanted to comment. So ERCOT
4 only has -- we don't have like winter ones that are rating,
5 that we use year 'round and that value is based on however
6 it would be in the table, so we would be enforcing the
7 rating at 32 degrees based upon what the table would be
8 showing at the 32 degrees.

9 So, that's why I want to make sure you were
10 thinking that the 32 degree rating, somehow you were
11 exceeding the static rating of the line by 91%, so I want to
12 make sure I understood the question.

13 MR. JAMMALAMA: Right, it's that ambient
14 temperature and the conductor temperature. I just want to
15 let you -- breaking, sometimes with DLR as the flow the
16 static, you have a -- you also need some very good time.

17 You have to have -- like the wind speed is low
18 and at that time ambient temperatures are high, but if you
19 know, nature, sometimes they can now come and say to each
20 other in summer when the temperature is high and you have
21 some high wind, that kind of like compensate with each
22 other, so that's why a lot of the time you see like only 5%
23 of the time that you are at a high flow.

24 MR. CORBETT: Well yes, that's it, that there are
25 compensating factors that we're not aware of, so that shall

1 we say have created an actual path if you're a facility that
2 exceeds maybe what the hard static break is based on that
3 static break temperature. For example, like you're saying,
4 load is rolling off. Maybe, load is falling, the load
5 component of the seeing contribution is rolling off and in a
6 4 hour period.

7 Or like the wind speed is high, so we're talking
8 about the true capacity of a transmission facility which is
9 like where we're going with the ambient ARR. But, when you
10 compare it to the static rate, they don't -- the static
11 rating has a temperature with a static rating, so it doesn't
12 necessarily change, it just stays constant.

13 MR. XU: I think like wind speed or induction,
14 all these can occur, you have to rely on some real-time
15 measurement sensor to measure all these things.

16 MR. CORBETT: And yes, it has what was mentioned
17 just a little earlier, that's true for conductors. What I'm
18 saying is a certain voltage class has a high concentration
19 of equipment limited transmission, rather than the conductor
20 circuit breaker line.

21 And they're not -- they don't necessarily get
22 that rating advantage because of the ambient temperature
23 sensor.

24 MR. XU: Yeah, that's true because with a
25 transformer.

1 MR. ENAYATI: One of our projects in New England,
2 we actually faced something similar to DLR, gave us higher
3 data in terms of capacity but there was a limiting element
4 of switch there that had the limiting capacity, so the limit
5 -- if capacity is aligned with limited -- the rating of that
6 switch. The next project for us really to see if that
7 capacity is based on what we thought the DLR was the
8 upgraded switch, so though we can have all the capacity
9 available.

10 In terms of -- just to add what we do in New
11 England in terms of temperature. So, for summertime we
12 consider 100 degrees Fahrenheit. For winter, 50 and if you
13 live in New England, normally you're going to get that level
14 anyway in both summer and winter, so our AAR's are typically
15 higher than static ratings most of the time.

16 MR. CORBETT: You're using a higher temperature
17 in the winter that's something like 32 degrees Fahrenheit.

18 MR. ENAYATI: Yeah, it's at 50, that's what we
19 do.

20 MR. CORBETT: The last comments that I have for
21 you, it's we can talk about a confidence factor or we can
22 talk about bandwidths that would be acceptable simply for
23 forecasting. So, let's say we start out with we're going to
24 85 and 90 degrees, this is a forecasted peak of the day,
25 could you see an algorithm for DLR to track the bandwidth

1 performance so that it automatically makes ratings
2 adjustments based on bandwidth?

3 MR. XU: I think one problem that you may have is
4 we have summer at winter ratings, like in between. For
5 example, our period from November 1st to March 31st, so from
6 March like March 31st to April 1st you have a jump. The
7 rating will jump from some kind of number to another one.
8 So, at this time maybe when you have a concern, maybe
9 there's some concern there because you know, the weather
10 cannot change one day, but the rating number can be changed
11 in one day.

12 And I think it is kind of a condition that
13 everybody else is concerned, maybe we need to see it, I
14 think.

15 MR. CORBETT: Would you also say that the wider
16 your bandwidth for the confidence factor width, that the
17 rating would change?

18 MR. XU: More about it like for a system with
19 like static ratings, you would have this kind of concern. I
20 think the temperature is very small but I'm just reading all
21 the focus ratings, different issues.

22 MR. CORBETT: Thank you.

23 MR. KOLKMANN: I asked Jake the same, mostly
24 Jake, I think the same question earlier. I'll ask, I'm
25 curious to know if you guys had similar experiences. Are

1 panelists aware of research testing or testing to read
2 non-wires transmission equipment more dynamically? Have you
3 thought of or heard of anything in research ratings for
4 non-wires?

5 MS. CADANI: So, going back to something you said
6 about incentives to get people to think about using more
7 dynamic line ratings. I wanted to ask different facilities
8 to provide us with some of the thoughts that they had
9 concerning the pilots we did. And then also, in terms of
10 what else could be done to help those, or even more ambient
11 ratings.

12 MR. XU: Now as I mentioned, you know, we -- ISO
13 can now rely on us to take the risk to provide numbers for
14 them. So, if we upgrade the rating, so we are going to have
15 the reason, so what now benefits we can get. I think we, of
16 course the rating, we can get some benefits, but I think for
17 most of you here, it would be more in it to do this,
18 otherwise you know, why would I have risk.

19 MR. ENAYATI: And in addition to that, more like
20 operational flexibility at the whole incentive structured
21 needs to change, incentive-wise for the services. And plus,
22 the congestion part is that you know, my opening remarks I
23 mentioned the New York transmission congestion contract, so
24 with DLR at showing more capacity in a particular area that
25 will definitely impact the way that market works, the

1 contract with the entities.

2 So, which requires again, significant changes to
3 the way we're currently managing FTRs and NTP.

4 MR. VELEZ: So, then your question is why we
5 collect the lines where we put the sensors for our pilot
6 program and so in one of the cases we installed the sensors
7 and the idea was just to test the data installation of the
8 sensors first, and second the data that we get during that
9 process for one of our pilots, it was not really for
10 congestion, or it was not really for any other event
11 constraint.

12 It was just to get experience installing the
13 sensor and get the data and evaluate the data. The other
14 three sensors we were installing, or two sensors we're
15 installing with EPRI, one of them is for another different
16 kind of measurement, these sensors can also give you other
17 measurements than line rating.

18 One of them is when it gives us blowout, you
19 know, when the transmission lines can actually move and
20 approach a tree because of the wind, and we don't want that
21 line to approach that tree. So, we have a long span in one
22 of the transmission lines, we have installed these sensors
23 in that location and another one -- request for galloping in
24 the technician line.

25 And having oscillation and knowing they reduce

1 the clearance from the conductor to underground structure,
2 so that's the only reason why we connected that one. But I
3 mean the thing is there's some incentive because I think the
4 incentives are going to be self-imposed, the utility has
5 some point or even now we are constrained in our system in
6 terms of thermal constraints that we want to push more power
7 and we cannot do it, so I think just because we went from
8 the polling, we're looking into that ourselves.

9 MR. GUGEL: This is Howard, if I go back to
10 Dillon's question a little bit earlier. I'm not really
11 aware of any research on dynamic line ratings of terminal
12 equipment, but I will say that there's IEEE standards. Most
13 terminal equipment is amp year limitations, it's not really
14 more of a thermal constraint, but it's limited by amp years.

15 And there is IEEE standards for pieces of
16 equipment where you can take a loss of life calculation into
17 account for that. And so, there are conditions where folks
18 will, under certain scenarios, assume a certain amount of
19 loss of life in order to increase a particular piece of
20 equipment for a very short period of time.

21 I am aware of those types of scenarios, and
22 certainly the IEEE standard allows for that.

23 MR. CORBETT: I'd like to follow-up. When you're
24 looking at transmission lines versus equipment, do you see a
25 value -- a strong value for that identification of what the

1 limiting element is for each facility? What that limiting
2 piece of equipment is? I believe that's standard 8.2.

3 MR. GUGEL: In fact, you're required to identify
4 that and certainly the knowledge of whether or not it's a
5 wave trap or a CT or a switch can give you some information
6 about whether or not there are, you know, some additional
7 loss of life calculations. I don't know that specifically
8 for maybe like a reliability coordinator knowing that
9 information is immediately a concern, but at least it can
10 open up a conversation between the transmission owner and
11 the reliability coordinator about whether or not they want
12 to take any kind of a loss of life calculation into account
13 to increase a rating for a specific period of time.

14 MR. CORBETT: Got you.

15 MR. KOLKMANN: I just wanted to see if any of the
16 panelists who have done pilots could walk me through at a
17 high level how and AAR or DLR into the emergency ratings, do
18 those all shift along with these day ratings or have these
19 been primarily kind of focused at the study day rating and
20 one of the early emergency ratings, how does that work?

21 MR. MURPHY: So, for PJM pilot project we were
22 looking at the static ratings. I wish one of them could
23 explain how they come up with the emergency ratings, but
24 that's what we would control to in a you know, sense where
25 we would use this in production, so that's kind of the best

1 I can answer that question.

2 MR. KOLKMANN: Sorry, just to make sure I
3 understand. When you say you control to the emergency
4 rating?

5 MR. MURPHY: We would have a 45 minute emergency
6 rating that we would -- that would be based on the current
7 conditions and a hypothetical drop in the wind speed at that
8 time to formulate what the emergency rating would be. How
9 that emergency rating is actually formulated I'm not sure.

10 MR. KOLKMANN: That would come from the TO and?

11 MR. MURPHY: That would come from the dynamic
12 line rating vendor, they would formulate how that works and
13 the TO would validate what is the contingency that you're
14 considering as far as the drop in wind speed.

15 MR. XU: I wanted to add, for a short-term
16 emergency rating normally you need to also provide or have
17 some idea about the correct temperature, normally about 15
18 or 45 minutes, so you need to use estimate to do that.

19 MR. KOLKMANN: Okay.

20 MR. DAUTEL: I just want to say, especially
21 because the first panel got cut off early. There will be a
22 comment period, right? Yeah, I was like we should really
23 make 100% sure that that's true. So, you will be able to
24 add any additional thoughts, including the audience who
25 isn't actively participating, but there will be a forum for

1 you to get additional information on the record. That's
2 all I have.

3 MR. KOLKMANN: Well, thank you for your time.
4 That's all I have. It's been very informative, so thank you
5 for that. And we will resume up again at 1 p.m. -- sorry, 2
6 p.m.

7 (BREAK)

8 MR. KOLKMANN: Good afternoon, welcome back
9 everyone. Welcome to Panel 3 where we will discuss whether
10 transmission owners should implement ambient adjusted line
11 ratings. As you'll find out, the panel features a broad
12 range of industry experts bringing their unique experiences
13 as well as sharing lessons learned from the prior panel.

14 This panel will also discuss how any requirement
15 for transmission owners to implement ambient adjusted
16 ratings might be reflected in transmission service, both in
17 ISOs and bilateral markets methodology requirements. And
18 the panel will also address corresponding changes to ATC
19 calculations as well as software and communication.

20 Thank you all for being here. I want to start
21 off with introducing our panelists. From my right to
22 audience's left to right we have Carlos Casablanca from AEP,
23 Dennis Kramer from Ameren, Dede Subakti from California ISO,
24 Michelle Bourg, from Entergy, Rikin Shah from PacifiCorp,
25 Mike Wander from Potomac Economics and Amanda Frazier from

1 Vistra.

2 Again, thank you for being here. We'll start off
3 with Carlos, so kick us off.

4 MR. CASABLANCA: Good afternoon, can you hear me?
5 So, I'm going to read from my prepared statement. Chairman
6 Chatterjee, Commissioners, staff, and colleagues, thank you
7 for the opportunity to participate in this important -- not
8 on? Or Closer? There we go -- Thank you for the
9 opportunity to participate in this important dialogue.

10 My name is Carlos Casablanca, and I am the
11 Director of Advanced Transmission Studies and Technology at
12 AEP Transmission. American Electric Power is one of the
13 largest electric utilities in the United States, delivering
14 electricity to more than 5.3 million customers in 11 states.
15 AEP also owns the nation's largest electricity transmission
16 system, a more than 40,000 mile network that includes more
17 765 kilovolt extra-high voltage transmission lines than all
18 other U.S. transmission systems combined.

19 AEP's transmission system directly or indirectly
20 serves about 10 percent of the electricity demand in the
21 Eastern Interconnection, and approximately 11 percent of
22 electricity demand in ERCOT.

23 AEP's experiences with real-time facility rating
24 adjustment techniques, including ambient adjusted ratings
25 and dynamic line rating technologies, have given us a good

1 perspective on the benefits and challenges of these methods
2 and the value that they can bring to transmission owners and
3 operators.

4 It is our belief that ambient adjusted ratings
5 that leverage real-time and next-day forecasted regional
6 temperature differences can increase the value of a robust
7 transmission system to the benefit of our customers and
8 bring flexibility to the transmission operations
9 environment.

10 A requirement for transmission owners and
11 operators in all regions to implement ambient adjusted
12 ratings on most, if not all, of their transmission lines,
13 should be encouraged. The application of ambient adjusted
14 ratings in real-time operational environments is something
15 that APEP has been doing for over 10 years. We monitor
16 various temperature zones in each of our regions and real
17 time temperature data is retrieved with every state
18 estimation process run to adjust facility ratings.

19 The facility ratings are adjusted by
20 interpolating between the respective seasonal summer and
21 winter ratings, following AEP's established facility rating
22 methodology. In addition, temperature zone values can be
23 manually adjusted when performing studies in our State
24 Estimator; a feature that allows our operational planners to
25 better analyze the system impact of anticipated near-term

1 temperature changes.

2 In the PJM Interconnection, transmission owners
3 are required to provide temperature adjusted values for
4 normal, emergency and load dump ratings associated with the
5 limiting equipment for each particular transmission
6 facility.

7 Eight different ambient temperatures are used,
8 with a set for the night period and a set for the day
9 period; thus, 16 sets of three facility ratings are provided
10 for each monitored facility and used for operational
11 purposes.

12 In the Electric Reliability Counsel of Texas,
13 transmission owners are required to provide temperature
14 adjusted facility ratings from 20 to 115 degrees Fahrenheit
15 in 5 degree increments for requested facilities.

16 It should be noted that not all facilities in the
17 AEP ERCOT footprint have seasonal differences in operating
18 limits, only circuits that were built after 1977 have
19 temperature adjusted ratings.

20 In the Southwest Power Pool and Midcontinent
21 Independent System Operator, AEP calculates temperature
22 adjusted ratings within the AEP state estimator and uses
23 those ratings operationally. Seasonal ratings are submitted
24 in both regions and although not required, both regions have
25 mechanisms in place to allow members to supply ambient

1 adjusted ratings via Inter-Control Center Protocol.

2 Whenever there is a difference in the derived
3 opera ting ratings, AEP and the respective regional operator
4 will operate to the most limiting ratings unless the
5 respective regional operator elects to defer to AEP's
6 temperature adjusted ratings.

7 Although AEP has leveraged ambient adjusted
8 ratings for a long time, it should be understood that not
9 all transmission lines may benefit from ambient adjusted
10 ratings. Still, as several regional operators and we have
11 demonstrated, the principle and methodology around ambient
12 adjusted ratings should be feasible to scale to all
13 transmission facilities.

14 Entities that have not applied ambient adjusted
15 ratings before will likely incur some start-up costs
16 associated with internal process development and
17 documentation, weather data subscriptions, software changes,
18 and training.

19 However, given our experience and practice in the
20 four regions that we operate in, and across two different
21 EMS platforms over the last decade, these should be
22 manageable.

23 AEP also recommends that the application of these
24 ambient adjusted ratings be limited to real time and day
25 ahead operational planning and studies. We believe that

1 neither ambient adjusted ratings nor dynamic line rating
2 technology should be considered as permanent solutions to
3 address any thermal constraints identified in long-term
4 transmission planning reliability assessments, as these
5 long-term transmission planning assessments are meant to be
6 deterministic and conservative and assume system peak load
7 conditions that coincide with higher ambient temperatures.

8 After the conclusion of this technical conference,
9 we would recommend that the FERC issue an order with an
10 appropriate timetable, requiring transmission owners and
11 operators in all regions to implement ambient adjusted
12 ratings on most, if not all, of their transmission
13 facilities and that the application of these ambient
14 adjusted ratings be limited to real time and day ahead
15 applications.

16 I would like to thank again the FERC
17 Commissioners and staff for your time, for organizing this
18 Technical Conference, and for allowing us to participate. I
19 welcome your questions and look forward to the coming
20 dialogue, thank you.

21 MR. KOLKMANN: Thank you. Dennis?

22 MR. KRAMER: Good afternoon. I am Dennis
23 Kramer, Senior Director of Transmission Policy and
24 Stakeholder Relations for Ameren Services Company, and
25 appear today on behalf of the MISO transmission owners. The

1 transmission owners thank the Commission for holding this
2 Technical Conference on the concept of adjusting
3 transmission line ratings and this panel specifically on
4 ambient adjusted ratings for transmission lines.

5 Transmission line ratings are a significant
6 factor in the long-term transmission planning, operation of
7 the bulk electric system, and functioning of the organized
8 markets. Transmission owners are responsible for
9 determining the ratings of the equipment using established
10 calculation methods and in compliance with NERC standards
11 and requirements. An important distinction that needs to
12 be drawn is that implementation of AARs will not alter the
13 transmission system long-term planning horizon requirements
14 as described in NERC reliability and operating standards.

15 The standards establish specific criteria that
16 the transmission owner must satisfy in order to achieve
17 compliance. AARs are not applicable when determining the
18 line ratings used in studies and analysis required to
19 demonstrate compliance with these standards.

20 The ratings that transmission owners determine
21 for their facilities are a major factor in determining how
22 the bulk electric system is operated and planned as well as
23 how organized markets function. There are various types of
24 ratings, including static, seasonal, emergency, AAR, and
25 dynamic line ratings, DLR.

1 Regardless of the purpose of the rating or the
2 method transmission owners use to determine, the ratings
3 must maintain public and employee safety; ensure the bulk
4 electric system is operated and designed in compliance with
5 NERC standards; not operate equipment in a manner
6 detrimental to its planned lifespan; and be available to
7 parties that depend upon these values for safe and reliable
8 operation of the bulk electric system, or making decisions
9 that are vital to the success of their business.

10 At a high level, the concept of AARs sounds
11 appealing and relatively simple; adjust line ratings based
12 upon current or near-term environmental conditions that
13 being ambient temperature and sometimes wind velocity, to
14 increase the efficiency of energy flow on the bulk electric
15 system.

16 The broad implementation of AARs however, is not
17 simple and could be very complex with impacts on multiple
18 existing procedures -- processes and procedures, as well as
19 requiring creation of entirely new policies, requirements,
20 obligations and capabilities.

21 For example, transmission control centers use
22 sophisticated software systems to monitor the condition of
23 the transmission grid in the operating horizon to ensure the
24 bulk electric system operates in a safe and reliable manner.
25 A necessary input for these systems is the ratings of the

1 transmission lines.

2 In order to continue to provide safe and reliable
3 operations, many of these systems would need to have some
4 level of modification to accept AARs in the operating
5 horizon.

6 Transmission line ratings are also essential for
7 the efficient and cost-effective operation of organized
8 markets whether they be real time, day ahead, or longer
9 term, such as FTRs or transmission service requests. In
10 order to take advantage of any temporary adjustment to
11 transmission line ratings, market operators will need to
12 modify their systems to accept and integrate adjusted
13 ratings.

14 Likewise, many market participants will need to
15 modify systems they use to participate in the markets to
16 integrate this new information.

17 There are also legal obligations and liabilities
18 to consider that may result from broad implementation of
19 adjusted line ratings that must be discussed and resolved.
20 For example, what happens if the forecasted weather
21 conditions that were the basis for adjusting a rating do not
22 occur and the adjusted rating is no longer available.

23 From an operations standpoint, the answer is
24 relatively clear in that the applied rating must ensure
25 continued public safety and bulk electric system

1 reliability. From the market operations standpoint, the
2 answer is far less clear because similar documented and
3 understood rules and policies do not exist.

4 A particular challenge will be if AARs are
5 applied in establishing available transmission capacity ATC,
6 for use in FTR auctions or transmission service requests,
7 including short-term non-firm requests. Ambient weather
8 condition forecasts are much less accurate in future weeks
9 and months compared to the next hour or next day forecast.

10 New rules and policies will be needed to address
11 the situation when an expected line rating is not available
12 and a change from the expected rating impacts markets and
13 market participants.

14 Finally, there's the question and matter of cost.
15 The needed modifications to processes, procedures and
16 systems to obtain the potential benefits from implementing
17 AARs will require financial investment. Therefore, it's
18 important that any implementation of AARs be focused upon
19 transmission lines where it can provide the most benefit.

20 For AARs to be cost-effectively implemented,
21 methods must be developed to identify candidate transmission
22 lines and evaluate the benefit that AARs may provide
23 compared to the implementation cost. Before these
24 investments can be made, it must be determined which
25 entities receive benefits from AARs and how to equitably

1 assign cost responsibility.

2 There is no one size fits all path forward. The
3 Commission should recognize differences in how the
4 transmission system is developed over time because of unique
5 topology, specific system requirements and differing
6 environmental conditions.

7 Before any new or modified rules or requirements
8 are considered, it's critical that all aspects of AARs be
9 identified and fully investigated. This Technical
10 Conference is a good first step in that process. The MISO
11 transmission owners look forward to the exchange of
12 information during this Technical Conference, and future
13 discussion on these topics. Thank you.

14 MR. KOLKMANN: Thank you. We'll now turn to Dede
15 Subakti from California ISO.

16 MR. SUBAKI: Good afternoon, my name is Dede
17 Subakti. I serve as Director, Operations Engineering
18 Services at the California ISO. So, first I would like to
19 thank the Commissioners and staff for the opportunity to
20 share my thoughts on this implementation of DLR and
21 specifically for AAR, which is the ambient adjusted line
22 rating and see how many we can put in this thing.

23 I think we've been talking about this for the
24 whole day, whole morning about the principle benefits of
25 using AAR or adjusted line rating. One way or another I

1 think we believe that the principal benefits of using AAR is
2 really giving us a more accurate understanding of the truly
3 transferability of the transmission line at any given point
4 in time.

5 I think we also talked about this may actually
6 include whether or not this actually increase rating or also
7 decreased availability that the transmission grid has, but
8 all else being equal, this information should promote more
9 reliable and efficient transmission operations.

10 In the past, in California ISO we've done some
11 pilot programmings with regards to AAR. We have implemented
12 some AAR certain degrees and now with the new EMS that we
13 have, we have the capability of implementing any type of an
14 AAR or DLR, you name it.

15 But today I want to focus on a couple items that
16 we should consider. Number one is the questions about
17 weighing any requirement for transmission owners to
18 implement AAR for all transmission, whether or not it is
19 necessary or not.

20 For example, AAR for a particular transmission
21 line may provide a greater TTC, the total transfer
22 capability and permit a more efficient security constraint
23 or dispatch in an area like California ISO so where we
24 actually run an older market.

25 In this case, an adjusted rating has the

1 potential to create or resolve congestion riding on the
2 transmission system. On the other hand, if we calculate and
3 implement AAR for a specific transmission facility that has
4 never been congested, then you're just not doing anything.

5 And the other portions in the Western connections
6 we do have a number of stability and voltage limitation, so
7 for those areas in there you might not gain anything. So,
8 just have to be very careful and selective in where you want
9 to put the AAR in.

10 Secondly, I think as Dennis mentioned, so we
11 should consider if the more accurate rating could actually
12 impact more or distort market efficiency. Let me explain.
13 Changes to the facility rating in the day ahead timeframe
14 may create variances to how California ISO has modeled its
15 system for the purpose of issuing congestion CRR, or some
16 people call it FTRs, through our normal annual and monthly
17 process.

18 So, similarly implementing AAR in the real-time
19 market, maybe the various between the PPC that is used in
20 the day ahead hour and a half scheduling process for all of
21 our -- that is in there.

22 So, the reasons why I said this is the reaction
23 we have the project, and we actually have an hourly,
24 real-time PPC calculation that we implemented and when you
25 put it in there, the PPC would actually change as the rating

1 changes, which then recite that the APC also becomes
2 changing.

3 So, this variance between this market process may
4 result in pricing impact that create unexpected market
5 outcomes. So, I would suggest that the Commission and staff
6 would need to explore whether this is more efficient to
7 reflect this rating variances, or if they agree unnecessary
8 uncertainty with respect to how a market participant would
9 end up scheduling and needing their resources.

10 So, accordingly, California ISO urge staff and
11 Commission to balance the efficiency and the reliable
12 benefits associated with AAR against the increased
13 volatility that such a rating might create in the market
14 outcomes.

15 We believe that transmission owners, transmission
16 providers should continue to determine if whether it is
17 operationally practical to use AAR for all, or even some
18 transmission facility, and also the Commission should also
19 provide this entity with the latitude to structure their
20 system in a way that leverage existing technology to submit
21 and receive this AAR and incorporate them into their EMS,
22 and/or market system.

23 We've heard today that there are multiple ways of
24 doing that. Of course, that's one way, AEP does it another
25 way. Those are great and we have -- we encourage that the

1 Commission should allow the transmission owner and operators
2 to figure out what's best for them.

3 Especially in the area where the transmission
4 owner is a part of the ISO and when the ISO have a CRR, FDR,
5 day ahead market, as well as real time market to figure out
6 when is it the best time to actually put this adjusted
7 rating in any of these markets in there.

8 That's because the -- this foundation of food for
9 captive AAR and the real time AAR might impact the market
10 outcome itself. So, I would like to thank you for the
11 opportunity, looking forward to discussing more with this
12 panel.

13 MR. KOLKMANN: Thank you, Michelle?

14 MS. BOURG: I'm sensitive to the microphones all
15 day. Wonderful, can you hear me, good enough? Great.
16 Well, good afternoon. My name is Michelle Bourg, and I
17 serve as the Vice President of Transmission Asset Management
18 for Entergy Services. So, I'm really excited to be here
19 and on behalf of the Entergy Operating Companies, I want to
20 thank the Commission and the staff for holding this
21 Technical Conference and facilitating these panels on how we
22 may use ambient adjusted ratings into the future.

23 So, as a transmission owner and as owners of
24 transmission assets in MISO, the Entergy Operating Companies
25 are responsible for determining ratings of our facilities

1 and we heard earlier -- in compliance with NERC standards,
2 right, FAC 8, Entergy originally began getting experience
3 with ambient adjusted ratings in the 2009-2010 timeframe.

4 And based on this experience, Entergy began a
5 formal program with MISO using both ambient adjusted ratings
6 and short-term emergency ratings on certain transmission
7 facilities. And this started in 2016.

8 This afternoon I'll provide an overview of
9 Entergy's experience with implementation of ambient adjusted
10 ratings and give you insight into Entergy's journey over the
11 past several years.

12 I think it's important to note that throughout
13 this journey Entergy has maintained an unwavering focus on
14 balancing grid security, safety of the bulk electric system
15 and safety of our assets with really the desire to maximize
16 system efficiency.

17 So, Entergy's adopted the use of ambient adjusted
18 ratings and specifically I'll talk about temperature
19 adjusted ratings, to enhance system efficiency during
20 periods when ambient temperatures are less than conditions
21 assumed in the calculation of our static ratings. And just
22 for reference, we use 104 degrees Fahrenheit for that
23 calculation.

24 This temperature adjusted rating is calculated by
25 updating the normal facility rating, the static rating, to

1 account for more accurate ambient temperature conditions.
2 We trend historical weather within the Entergy footprint,
3 obviously.

4 And we found that rating adjustments based on
5 ambient temperature deviations is really the most efficient
6 way for us to get the gains. It's also really the most
7 predictable, which is a factor we hold to be very important
8 in the consideration of dynamic ratings.

9 Since the Entergy service territory is really a
10 hot, humid summer environment, I'll emphasize hot, humid,
11 summers and mostly very mild winters, and we really don't
12 have very large swings in ambient temperatures throughout
13 the seasons. It's been our experience that seasonal ratings
14 really just aren't as effective for us as it may be for
15 other transmission owners.

16 It's also worth noting that Entergy does not make
17 any adjustments based on forecasted or actual wind loading
18 due to that potential variability in the real-time
19 environment. Entergy's methodology for calculating static
20 transmission facility ratings, and adjusting certain
21 facility ratings based on real-time or projected temperature
22 information is documented in internal facility rating
23 methodology standards and separate procedure documents that
24 govern our temperature adjusted ratings process.

25 Next, I'd like to give you an overview of the

1 scope of Entergy's temperature adjusted rating, or I'll call
2 it the TAR program, another acronym we use internally. And
3 the process that Entergy uses to calculate the temperature
4 adjusted rating.

5 So, we have approximately 2,300 transmission
6 facilities -- this is lines and autotransformers, rated from
7 69 kV to 500 kV in our operational planning model. Of that
8 population of 2,300 facilities, there are roughly 1,000
9 Entergy transmission facilities or 40% of the total for
10 which Entergy calculates a temperature adjusted rating.

11 These facilities are included in what we call
12 another acronym, the WEBTAR database. So, as the name
13 implies, WEBTAR is an internally developed database with a
14 web interface that contains information for selected
15 transmission elements capable of being temperature adjusted.

16 So, the information housed in the database
17 includes, among other things, section name, the from to
18 buses, zip code, city information and all of the limiting
19 element ratings, including ratings for our terminal
20 equipment in the substations, the conductor itself, and the
21 protective devices.

22 Entergy uses a commercial weather service to
23 obtain zip code level temperature data, and this information
24 is mapped based on the zip codes of the terminal stations to
25 each line in the WEBTAR database. We also use publicly

1 available information via NOAA, as a back-up source for the
2 actual and forecasted zip code level temperatures.

3 So, using all this information, our WEBTAR
4 program calculates temperature adjusted ratings for these
5 facilities every hour, so at 2 p.m. daily, this program
6 calculates a day ahead and two day ahead temperature
7 adjusted ratings for the same subject of transmission
8 facilities.

9 These hourly, daily and two day ahead TARS are
10 shared with our real-time folks for use in monitoring and
11 assessing transmission system security. They are also
12 provided to MISO for use in real-time operations and in the
13 day of and day ahead MISO markets.

14 MISO and Entergy exchange in quite a bit of
15 two-way communication related to temperature adjusted
16 ratings, so we each have the opportunity to identify
17 facilities for which temperature adjusted ratings may be
18 beneficial, weather and real-time operations, or for market
19 consideration and we talk quite a bit about that.

20 A process has been defined for both MISO and
21 Entergy, real-time and operational planning personnel to
22 request TARS for facilities outside of the automated process
23 as well. So, it's, you know, the process began as an
24 off-line tool, but as it stands right now, this program will
25 automatically upload into the EMS tools used by both Entergy

1 and MISO to monitor the transmission system and it's also
2 communicated to various internal stakeholders via email.

3 We've incorporated logic into this database to
4 identify any large temperature deviations, and we also
5 perform a quality control assessment of the calculated
6 temperature adjusted ratings.

7 The methodology that we use for calculating
8 temperature adjusted ratings considers the equipment
9 temperature, which is determined by adding the thermal rise
10 caused by load current to the ambient temperature. So, for
11 every degree Fahrenheit observed, or forecasted below the
12 104 degrees Fahrenheit that we use in our static rating, the
13 rating for most substation equipment -- and I have to say we
14 do not temperature adjust autotransformers or protective
15 relays.

16 So, the forecasted or the new rating can be
17 increased by about 8/10ths of a percent for that substation
18 equipment, while the rating for transmission lines can be
19 increased by about 4/10ths of a percent. So, for every
20 degree Fahrenheit less than the 104 degrees.

21 By adjusting certain facility ratings for this
22 ambient temperature condition, we have observed a
23 significant increase in real-time and near real-time ratings
24 for the facilities that are included in the database.

25 So, over a 19-month period, beginning January of

1 2018 through present, application of temperature adjusted
2 ratings for these certain transmission facilities have
3 resulted in anywhere from a 5% to 25% average increase over
4 the static rating, depending on kV class.

5 So, as the kV class goes up, so for our 500 kV
6 facilities, the inverse -- that's about the 5% increase.
7 And for our 69 kV facilities, the 25% increase. Application
8 of temperature adjusted ratings has resulted in a maximum
9 increase, so before it was average -- maximum increase of 8%
10 to 33% over the static rating, again depending on kV class.

11 Because the conditions that allow for the use of
12 these temperature adjusted ratings are not readily
13 predictable on a long-term basis, dynamic or ambient
14 adjusted ratings are more useful in the operations and day
15 ahead real-time markets than in long-term planning.

16 Entergy does not support the use of temperature
17 adjusted ratings for transmission planning, economic
18 planning, or generator interconnection studies. This
19 process, while automated, requires a significant resource
20 commitment. Several years ago, Entergy established a
21 configuration management organization that is responsible
22 for maintaining static ratings for all transmission
23 facilities, including all component and settings
24 information, and communicating this information to
25 stakeholders within our organization.

1 This information serves as the basis for all
2 temperature adjusted ratings. In addition to the IT
3 resources required to support the automation, required for
4 the calculation and dissemination of temperature adjusted
5 ratings, an additional full-time engineer is responsible for
6 maintaining the WEBTAR database, performing modeling
7 updates, liaising with real-time system operations personnel
8 and other associated activities.

9 I would say automation is required to support the
10 efficient calculation in communication of approximately
11 1,000 temperature adjusted ratings per hour, and this is key
12 -- while minimizing the risk of human error.

13 It's also worth noting that Entergy uses
14 short-term emergency ratings in very limited circumstances,
15 so for less than 10% of our facilities, to minimize the risk
16 of potential load shed while balancing risk for potential
17 equipment damage, short-term emergency ratings allow for the
18 operation of a given transmission facility for a short
19 period of time at a level that exceeds the continuous
20 rating of the facility.

21 However, use of short-term emergency ratings
22 carries a high degree of risk, due to the potential to
23 degrade the applicable transmission facility, or reduce its
24 operating life, risk and trade-offs that must be very
25 carefully balanced.

1 Entergy acknowledges that the continued use of
2 short-term emergency ratings may deliver additional value to
3 the MISO markets, but Entergy remains very concerned about
4 prioritizing market needs over the needs to maintain the
5 integrity of the transmission system itself.

6 As such, Entergy is continuing to evaluate the
7 use of short-term emergency ratings in the market
8 environment. Entergy believes that there is no one size
9 fits all approach to rating transmission facilities and it's
10 incumbent on each transmission owner to utilize information
11 regarding the design basis, the topology and other operating
12 conditions, among others, in the development of such
13 ratings.

14 Thank you very much for the opportunity to share
15 Entergy's experience this afternoon.

16 MR. KOLKMANN: Thank you. Next, we'll turn to
17 Rikin Shah from PacifiCorp.

18 MR. SHAH: I'll read from my prepared statement.
19 Good afternoon Chairman Chatterjee, Commissioners and FERC
20 staff. PacifiCorp appreciates the opportunity to
21 participate in the Commission's Technical Conference on
22 Managing Transmission Line Ratings.

23 PacifiCorp concurs with FERC's initiative to
24 discuss this important issue related to different methods of
25 transmission line ratings, whether it's static, seasonable,

1 ambient adjusted, or dynamic line ratings being used in the
2 industry and how the dynamic line rating and the ambient
3 adjusted ratings could be enhanced.

4 Appropriately evaluated and applied DRL and AAR
5 -- ambient adjusted ratings may be useful in a alleviating
6 congestion, including transfer capability and addressing
7 reliability concerns, particularly within integration of
8 renewable resources such as wind where the resource is not
9 in the near vicinity of the load, DLR or AAR could be used
10 to address reliability concerns under outage conditions.

11 PacifiCorp has used DLR system on technology in
12 order to alleviate congestion and address reliability issues
13 under outage conditions which in turn has increased the
14 transfer -- available transfer capability on transmission
15 path. This DLR system is implemented in eastern Wyoming on
16 the Standpipe to Platte 230 kV Line, approximately 32 miles
17 long.

18 This DLR system measures the ambient conditions
19 on the transmission lines at three different load cells,
20 three different locations, communicates the data to the
21 central master unit, which then communicates the data to
22 PacifiCorp's Energy Management System.

23 Along with the ambient temperature and wind
24 speed, the DLR system also measures tensions on the line
25 segment as well as ice loading and thickness. Based on

1 these measurements, the DLR system calculates the dynamic
2 rating approximately every 10 seconds and updates the EMS
3 system with the new ratings. Some of the potential
4 benefits that -- and challenges of using this system DLR are
5 listed.

6 The benefits could be potential to eliminate or
7 delay capital investment requirements by optimizing the
8 transmission line rating and the transfer capability without
9 requiring the construction of new transmission lines, which
10 everybody knows could take a lot longer than the 10 to 12
11 years just to get that line built.

12 Potential to mitigate reliability concerns --
13 thermal overloads under outage conditions, awareness of the
14 real-time conditions and true transmission line capability
15 that could impact the reliability of the transmission
16 system.

17 But with the benefits also comes the challenges
18 like the regular maintenance of the AAR ambient adjusted
19 rating equipment, or DLR equipment. Other limiting
20 elements, such as breakers and jumpers connecting to the
21 transmission line to the substation, even though as
22 everybody mentioned that is 5 to 25% increase in the
23 transmission line rating if a jumper is only capable of
24 1,200 amps it's not going to be good enough.

25 So, recurring costs -- these are technology

1 changes and replacement of existing AAR/DLR equipment. We
2 have -- PacifiCorp has implemented this DLR and currently
3 it's under the process of replacing that particular DLR
4 system with a newer DLR system.

5 Malfunctioning of the AAR/DLR equipment affecting
6 the data quality and the loss of communication. Many times,
7 the operators do face instances where the rating -- the data
8 coming from the DLR system is not accurate based on their
9 operational experience and so they have to go back to the
10 static ratings and all of the static ratings that are in the
11 line.

12 Because of the AAR/DLR technology bring both
13 benefits and challenges, the benefits are best realized when
14 specific applications are identified, and the systems are
15 evaluated and designed to maximize the benefit of the
16 specific use case. Accordingly, transmission owners should
17 not be required to implement AARs on all transmission lines.

18 Transmission lines in the western
19 interconnection, in particular, may go through a variety of
20 terrain due to line length which can be several hundred
21 miles. And varying geography of the western United States
22 and hence experience a variety of ambient conditions --
23 ambient temperature, wind speed, altitude, et cetera, on
24 which the rating would be dependent.

25 This would require ambient conditions and

1 measurements across the entire line lengths at certain
2 levels -- at certain intervals. Also requiring transmission
3 owners to implement AARs on every transmission line may not
4 be an effective use of the technology as the ratings
5 established on some lines now may already be adequate
6 either due to minimal changes in the ambient conditions
7 throughout the year or the loading observed historically
8 along with future forecast.

9 If you look at a planning just going with the
10 same analogy as the highway, if you're the planners or
11 planners design the system for 10 years ahead, 20 years
12 ahead, and they already build a bigger wire just like a
13 five-lane highway where one lane gets shut down, still your
14 congestion may not -- there may not be any congestion
15 because of that.

16 So, requiring them to put AARs or DLRs on that
17 specific lined may be an ineffective use of that technology
18 at this particular point in time.

19 Individual transmission owners should be given an
20 opportunity to determine whether implementing the AAR on a
21 particular transmissionline would be beneficial to the
22 transmission system in either alleviating congestion or
23 enhancing the reliability of the transmission system.

24 Requiring the transmission owners to implement
25 AARs on every single transmission line may result in

1 unnecessary investment without the return that was expected
2 and put additional burden on the consumer rates.

3 The transmission owners should be allowed to
4 determine the subset of transmission lines on which the AAR
5 should be applied as they have access to and are in the best
6 position to make this assessment. The planning/operational
7 reliability analysis, historical information on congestion,
8 causes of congestion, and limiting element information,
9 LIDAR survey results, et cetera could be used as criteria
10 for determining the subset of transmission lines best suited
11 for the AAR/DLR application.

12 PacifiCorp does not operate under an RTO or ISO
13 but believes that there would be both benefits as well as
14 challenges for RTO/ISOs to incorporating the AARs into their
15 energy management system. Widespread implementation of
16 AARs, whether implemented under an RTO or ISO or non-RTO
17 entity has the potential for significant communication
18 network upgrades necessary to communicate the real-time
19 ambient conditions to the energy management system as well
20 as the new line rating and the changes to the ATC and share
21 that real-time information to all participants and affected
22 systems. This would be an added cost to installation and
23 maintenance of the communication network.

24 Just to point out the real-time BLR
25 implementation that PacifiCorp has done has almost a full

1 screen worth of DLR data that comes into the EMS system that
2 gets verified from the three different stations. Just
3 imagine that was spread across every single line in the
4 United States, so that is one concern that you have to
5 consider.

6 Currently, the tools and software used to conduct
7 power flow analysis incorporate static ratings provided by
8 the transmission owner. These tools currently do not have
9 the capability of handling ambient adjusted ratings to
10 determine varying total transfer capability under varying
11 ambient conditions.

12 The seasonal TTC, that total transfer capability,
13 of a transmission system is established using these static
14 ratings. If the TTC of a transmission system is based on a
15 single transmission element and is limited due to thermal
16 constraints, then the increase or decrease in the ACT
17 available change of capability of the transmission element
18 could be proportionally used in the markets.

19 But if the SOL, or as everybody says, system
20 operating limit of a transmission system is based on a
21 transmission flow gate, which is very much the case in the
22 Western interconnection system where there are multiple
23 lines that are forming a flow gate into a load sensor or
24 anything, then the transmission full TTC analysis might be
25 needed if an ambient adjusted rating shows that the rating

1 is different for one line.

2 And so, the transmission flow analysis needs to
3 be conducted in order to determine the increase or decrease
4 in the ATC. This is due to the fact that the impact of the
5 change in rating of one or multiple transmission elements
6 due to the ambient adjusted rating on the transmission flow
7 gate is unknown until the full TTC evaluation is done.

8 Network transmission service and the point to
9 point transmission service irrespective of the bilateral
10 markets or the RTOs/ISOs utilize the same transmission
11 system hence both should be impacted pro-rata for the
12 changes to ATC based on the AARs.

13 This is in response to the question whether a
14 network service should be curtailed first or the
15 transmission service should be point to point transmission
16 service should be curtailed first. I think it's one
17 transmission system, so the curtailment happens across the
18 transmission system pro rata and so that would be the input
19 to that.

20 Due to the intermittent nature of the ambient
21 conditions which could change significantly within an hour
22 timeframe and potentially increase or decrease the ATC in
23 the market, AAR should only be used in markets that are
24 operating in hourly or less time frame.

25 Also, the positive changes to the ATC should be

1 available for non-firm products that could be easily
2 curtailed if necessary, in the light of the changes to the
3 ATC. Keeping it within an hourly timeframe -- hourly or
4 shorter market, will not only help test the technology and
5 process but also minimize the changes in the ATC due to
6 unexpected changes in the ambient conditions.

7 Many transmission owners currently do not have
8 the communication network and the tools in place to accept
9 and use an AAR data stream and automatically calculate AARs
10 and change the ratings in the real time EMS system.
11 Significant communication networks to capture ambient
12 conditions and calculate AARs would be required along with
13 tools that would automatically update the ratings in the
14 EMS.

15 Also expanded communication networks will be
16 necessary to ensure that all data gathered to calculate the
17 AARs by the transmission owners is communicated to the RTO
18 respectively. Again, data quality check requirements would
19 also be needed by the RTO/ISO in order to ensure that the
20 quality of the data received by the RTO/ISO is usable.

21 PacifiCorp believes that the current FERC
22 regulations and NERC standards adequately address the
23 distribution of the transmission line rating methodology by
24 transmission owners to entities concerned with the
25 reliability of the interconnection and the transmission

1 system such as the reliability coordinators, transmission
2 operators, planning coordinators and transmission planners
3 upon request.

4 Through its transmission planning process,
5 PacifiCorp continues to consider possible applications of
6 DLR and AAR on its system for reliability enhancements and
7 transmission customer needs. PacifiCorp does not see a need
8 to revise the existing FERC regulations and NERC standards
9 covering distribution and coordination of facilities ratings
10 methodology as part of any effort to advance more widespread
11 adoption of AAR and DLRs.

12 Consideration should be given to how the
13 protection of the thermally protected transmission lines
14 will be handled in light of AAR and DLR. For example, if a
15 real-time rating, if it's a thermally protected line, the
16 line is going to trip at 1,200 amps, but if the AAR says
17 it's 1,600 amps, the line is still going to trip at 1,200
18 amps. Should that be changed or not changed? And how
19 should that be protected, that line?

20 So, that would be given. Also, consideration
21 should be given on how the interconnection procedures could
22 be modified such that the transmission provider could
23 identify an AAR/DLR as a mitigation to the thermal
24 constraint as part of the interconnection cost.

25 The reason I put this statement in here is

1 because while going on through the standard interconnection
2 process, the transmission planners or the transmission
3 providers does not have the opportunity or the timeframe to
4 do a real-time study to ensure whether DLR or AAR mitigation
5 is adequate mitigation or not, or whether they still need to
6 rebuild the line or not.

7 So, that's the part where I think to identify
8 that as a mitigation this is a very -- it can be a very good
9 tool, but an adequate timeline should be provided. And
10 additional outreach with regards to the benefits and
11 challenges of implementing AARs/DLRs involving a wide
12 variety of stakeholders throughout the interconnection is
13 warranted.

14 Finally, I thank you for the opportunity to
15 provide comments on this important issue of managing
16 transmission line ratings. I would be happy to answer any
17 questions that you may have.

18 MR. KOLKMANN: Thank you, Mike Wander from
19 Potomac.

20 MR. WANDER: Hello, that works. Okay, my
21 name is Mike Wander, I'm with Potomac Economics. We are the
22 market monitor for the inter-continent ISO. We work around
23 the country but most of my comments pertain to just MISO
24 given the experiences we've had with MISO.

25 So, I guess I'm ending the suspense. We do

1 believe a requirement should be put into place. I didn't
2 want to bury the lead, and we believe that really based on
3 our experience over the last maybe 5 or 6 years primarily.
4 And so, we have done the studies that we've published for
5 the last 2 years at least. And those studies are built up
6 from real-time data looking at all the binding constraints
7 on a 5 minute basis.

8 And we've mapped those constraints to the nearest
9 weather station and where people are providing ambient
10 adjusted ratings. We wouldn't show, and in fact we
11 calibrated and found very little benefit and our back casted
12 benefits match very well with the actual experience from
13 TOs, but the bottom line is that we're showing benefits of
14 about 150 million dollars a year.

15 That's split between ambient adjusted and
16 short-term emergency ratings about 50/50. And those results
17 quantitatively are very consistent with the results that
18 Entergy has reported, at least the last stakeholder
19 presentation that I'm aware of was end the 2018, and the
20 quantity changes that were just reported a moment ago also
21 match pretty closely with those numbers.

22 But, the vast majority of TOs in MISO do not
23 voluntarily provide ambient adjusted ratings and we and MISO
24 have tried with limited success over the past few years to
25 get more participation in some very detailed discussions

1 after a lot of you know, learning about the methodologies at
2 the end of the day it appears that many TOs, it's simply
3 their policy not to provide ambient adjusted ratings.

4 It's not based on reliability that at least on
5 some elements when we've gotten into the details. So, as
6 noted there, TO agreements, the open access tariffs, NERC,
7 IEEE standards that have been talked about today don't
8 require ambient adjusted ratings, but importantly they don't
9 preclude them either.

10 And then I think the bottom line that the benefit
11 of requiring this seems like a reasonable solution. And I
12 guess I already referred somewhat to Entergy, but they're
13 not the only one in MISO that has ambient adjusted rating
14 programs and we show significant benefits with all the
15 programs.

16 And I didn't hear any today and to date I haven't
17 heard of any. You know, there's legitimate reliability
18 concerns notably with the short-term emergency ratings as
19 discussed. But no actual reliability issues to date in the
20 ambient adjusted programs.

21 Then the next point -- I'll explain a little bit,
22 it's maybe a little obscure but we think there's also
23 significant reliability benefits simply in the RTO/ISO
24 world. The TOs provide the ratings based on a methodology
25 known primarily only to them, so we think there's true

1 significant benefit in the RTO/ISOs or any transmission
2 provider being more aware of those methodologies.

3 And in terms of transparency to a wider audience,
4 I think there's likely benefits there too. There might be
5 security concerns, those can be dealt with. And then the
6 next point under there -- it may come as a shock, somewhat
7 of a shock to me, that the RTO/ISO world does not generally
8 keep a comprehensive database of the most limiting elements
9 and most surprising that that would be -- limit the ability
10 to identify really low-hanging fruit in the planning
11 processes.

12 So, if you have a -- and this case to light in
13 MISO's vetting all of our analysis where they said, you
14 know, you're calculating significant benefits and the
15 limiting element here as was researched, found to be
16 something else. But that information does not get into the
17 planning process.

18 So, if you have a wave trap or a current
19 transformer that you know could be upgraded at pennies on
20 the dollar, compared to the conductor -- that knowledge is
21 not currently getting into the planning process.

22 So, there's a number of side benefits to
23 expanding our requirement for AARs. So, I think as I note
24 here at the end, you know, we think the requirement should
25 certainly consider adding to the STEs or short-term

1 emergency ratings.

2 What would the requirement look like? So, I
3 hesitate to say it should be on a subset or I agree with the
4 notion of prioritization and in fact, Entergy's done just
5 that, it seems to be a reasonable approach. I don't think
6 it would be feasible to implement a requirement on all
7 facilities right away.

8 But if you leave it to sort of an opaque process
9 where TOs are deciding where to put the emphasis, I don't
10 think that brings us very far from where we are today and
11 again, based on four or five years -experience, we've made
12 very limited progress today, so.

13 And then in terms of precision and uncertainty,
14 there is a concept in the industry transmission reserve
15 margin. We don't expect TOs to take changes. You know, we
16 think with uncertainty in terms of resolution of the
17 information without DLRs, you know, DLRs can solve a lot of
18 that but we're talking AARs here.

19 We expect them to use a transmission reserve
20 margin or something equivalent to that in a safety margin on
21 AARs. I think those should be transparent -- those reserve
22 margins, and they themselves could highlight where DOR
23 investment might be warranted and be most cost-effective.

24 So, that kind of gets to the prioritization
25 question. We think it should be a general requirement.

1 There could be a showing on why the requirement shouldn't
2 apply to this or that. I mean that could be up front. And
3 then, so TOs would -- in our world as today, they would be
4 responsible for the ratings, transmission owners and
5 transmission operators, that convey them to transmission
6 providers -- a lot of terms.

7 So, that would not be changed. It would just be
8 that the transmission provider would be responsible for
9 understanding what goes into the methodology and verifying.
10 So, we've covered that.

11 And short-term emergency ratings -- what we see
12 in the industry is a lack of clear standardization on what
13 the timeframe of those short-term emergency ratings are.
14 And MISO doesn't have a database -- I think it may be true
15 of all RTO/ISOs, they don't have a separate database that
16 says this is a 45 minute rating, a 1 hour rating, a 4 hour
17 rating, and that actually should be something that's
18 conveyed and would be enhancing to reliability.

19 Not perhaps, I know FERC has dealt with the topic
20 of predictive adaptive ratings. I think that I'm not
21 arguing that should be a requirement but in the discussion,
22 if you did have that capability, that would also allow
23 greater utilization of short-term emergency ratings, and
24 less reluctance on parties like Entergy, you know, who, you
25 know, they -- I think it was 10% was the number.

1 You might get more robust participation.

2 On the question of ATC/AFC and I threw in TLR
3 there, I think I share the views that have been expressed
4 that in ISO/RTO markets, most of the benefit is in the day
5 ahead and real-time market and trying to roll in the AARs
6 into the current ATC and MISO AFC leads to ATC might be
7 counter-productive. If the TOs necessarily and rightly
8 would be more conservative in providing those values since
9 the further you go out the more uncertain those values could
10 be.

11 So, I think we simply think in the RTO/ISO world,
12 the focus should be on day ahead and real-time and the
13 markets at least MISO has something called a spot in service
14 which is already going to capture all the benefits of the
15 AARs in real-time. Now in the non-ISO/RTO world, it should
16 get in there. That's the only way to get the benefits of
17 AARs is through incorporating them into ATC.

18 And then I added the twist -- the transmission
19 line loading relief should definitely incorporate AAR
20 values. It seems unjust and unreasonable to have a TLC
21 called on a facility where AARs could be calculated. So,
22 that concludes my statements, thank you.

23 MR. KOLKMANN: Thank you, Amanda?

24 MS. FRAZIER: Good afternoon and thank you
25 Commission staff for hosting us today. I think this is an

1 interesting and meaningful topic and my name is Amanda
2 Frazier. I am the Vice President of Regulatory Policy for
3 Vistra Energy and I think I represent a unique perspective
4 on this panel, but I'll keep it short.

5 Vistra Energy has competitive generation and
6 competitive retail companies in six of the seven organized
7 markets in the United States. And I primarily want to talk
8 about my experience in the ERCOT market.

9 Specifically, in 2013, Oncor, which is a
10 distribution and transmission company in ERCOT, did a pilot
11 program with their transmission system to implement dynamic
12 line ratings that was incorporated into the RTO as you heard
13 Chad Thompson talk about this morning.

14 Both, day ahead real-time markets and also the
15 financial transmission markets called the CRR markets, it's
16 not part of the planning process. I heard a couple of the
17 transmission providers warn you against incorporating it
18 there and I think that's probably prudent not to include it
19 in the planning process.

20 But it has made a big difference for the
21 generation fleet. In ERCOT you hear a lot about congestion
22 relief benefiting customers and loads saving money. But it
23 also relieves generation trapped that could be available to
24 serve load and allows generators to optimize the
25 deliverability of their energy.

1 And so, from that perspective we strongly support
2 AARs and DLRs being incorporated into all of the competitive
3 markets.

4 MR. KOLKMANN: Thank you. I'll start off with
5 the first question. One of the things that I'm struggling
6 with, hopefully you can help me -- so, once you've
7 implemented a program to rate lines on an ambient adjusted
8 basis, what's the incremental cost to rating another line at
9 an incremental basis?

10 I ask because it sounds like most of the costs
11 that are associated with an initial upgrade to EMS is
12 software and I understand that obviously, many lines are not
13 congested all the time but I also don't understand what the
14 cost is to rating lines on an ambient adjusted basis once
15 you've already started the process.

16 So, if people could help me out with that, that
17 would be helpful.

18 MR. CASABLANCA: So, I can't really speak to the
19 dollar figures, but I think what you can maybe takeaway from
20 what I've shared, and other panelists have shared is there
21 are different ways of implementing ambient adjusted ratings,
22 so even for us right?

23 In one case we used the PJM approach is through a
24 website where you submit sort of tickets where you provide
25 different ratings for different facilities. ERCOT, I think

1 it's more of a spreadsheet method where all is submitted all
2 at once.

3 SPP and MISO at least for us, right now what's
4 available for us to use is uses the ICCP protocol, which is
5 more real-time, so I think that incremental cost is going to
6 vary depending on the implementation that is chosen, either
7 by the utility or the RTO.

8 So, I think that's -- I mean the point I probably
9 want to make sure you take away is there are different ways
10 of implementing AARs. They have maybe some pros and cons in
11 terms of maybe how frequently the data is updated and maybe
12 how good or real-time quality it is, but then also the
13 implementation costs will also vary.

14 I don't think there is a one single approach will
15 do it and maybe that's another takeaway is you need to leave
16 the different regions and transmission owners to figure out
17 how to implement the AARs, but there's ways of doing it and
18 I think we've shown it.

19 MR. KRAMER: Yes, just to elaborate on that a
20 little bit more. There are different methodologies, there's
21 technologies. You've got to remember there's over you know,
22 30 transmission owners within the MISO footprint, and
23 therefore each has different sets of technology, so you may
24 add one line, however that may be the only line that that
25 particular transmission owner has that would be subject to

1 AARs.

2 There's also the question of the availability of
3 data. Now, I know Entergy is using zip code level data.
4 Some areas have better monitoring facilities and better
5 forecasting capabilities than others, some of those are
6 better and like I said just because you're near a zone of
7 urban area, as opposed to very remote, and very rural where
8 they may not be the temperature sensors.

9 MR. SHAH: I think as Mr. Kramer pointed out, if
10 it's in a diverse just like for example a couple hundred
11 miles of line which is going through an area which is not
12 like you know, there are no temperature sensors. We have to
13 specifically install temperature sensors now.

14 The other thing to keep in mind is that to keep
15 that communication established from that point on to the EMS
16 system, that it is coming, it is accurately coming in and
17 because of weather changes and stuff, if that communication
18 gets unestablished, you've got to go back and the technician
19 would have to go back and do that maintenance on that
20 particular temperature sensor, so.

21 MR. KOLKMANN: Michelle and then Mike.

22 MS. BOURG: I was just going to very simply add,
23 you know, its been our experience, and that's what I can
24 speak to here and everyone's journey and experience is
25 different. But because we're using commercially available

1 weather information, we're not deploying discrete sensors or
2 any kind of any facilities out in the field to capture
3 information.

4 And because we already have the infrastructure
5 built, not only to manage the calculation process, but we
6 also have the information available for all of our
7 facilities, that next incremental facility to apply a
8 temperature adjusted rating for us is very incremental and
9 really is not material.

10 But we're further along, perhaps, on the journey
11 than others, and we have the infrastructure built to
12 accommodate that.

13 MR. WANDER: Well I don't know if I'm allowed to
14 ask questions of the panelists myself, but I'm interested if
15 we don't have these resolutions --

16 MR. KOLKMANN: Can you speak into the mic,
17 please?

18 MR. WANDER: Oh, I'm sorry. Whether when you
19 don't have the resolution in place today, maybe you want it
20 or are considering it, but you don't have it today, whether
21 the concept of transmission reserve margin makes sense.

22 Where you do have some temperature, you know, you
23 have a national weather map. You have a, you know, a
24 broader forecast. Your rating is based on 104 and you know,
25 the national map is not going to get above 80 anywhere. You

1 know, with some concept of an ambient adjusted rating based
2 on some conservative value be applicable, you know? What's
3 the rationale for not being able to consider even when you
4 don't have zip code or more resolution?

5 MR. KOLKMANN: Who wants to take it?

6 MR. KRAMER: Yeah, just for the record, Dennis
7 Kramer for the MISO TOs. There is a lot of different
8 locations that transmission lines traverse. They go
9 literally tither and yon, so transmission lines go uphill,
10 they go downhill, they go into valleys. They go into areas
11 where local temperatures can be much different than you
12 know, 3 miles - 5 miles away.

13 Other locations have micro-climates and, you
14 know, you can talk about those near lakes and things of that
15 nature. So, to say that the national level of temperature
16 is going to be no higher than 80, is really not applicable
17 when you're talking about a transmission line that's running
18 through a valley in the middle of, you know, Missouri
19 through the hills where there is no error, there is no
20 really wind in the summer usually.

21 And maybe on both sides have heavy growth of
22 trees through a national forest. So, to say that 80 degrees
23 is not going to exceeded in the nation really is simply not
24 applicable. So, in those situations the challenge is the
25 critical span -- if you're going to assume that the

1 transmission line itself is the rating -- is a limiting
2 factor, not the transmission terminal equipment.

3 But the limiting span can literally move
4 depending upon as the sun moves across and is there wind and
5 things of that nature. I'm not advocating for DLR, but what
6 I'm saying is there needs to be a recognition that these
7 lines do not all traverse in straight lines across open
8 fields where there is solid topology. That's where there's
9 a need for no one solution fits all.

10 So, if you're going to establish requirements,
11 you have to give the flexibility for people to adjust to the
12 fact that a line going across say, southern Illinois, in our
13 domain, is on flat land. You could see for miles. If I go
14 into Missouri, I'm talking about a very different topology
15 with craigs and valleys and hills, thanks.

16 MR. KOLKMANN: Does anyone else want to address
17 that? Okay. I'm curious about the connection to short-term
18 emergency ratings also. It sounds like all of you have
19 experience rating at an ambient adjusted basis, but only
20 sometimes provide short-term emergency basis, I'm sorry --
21 short-term emergency ratings.

22 Could you talk me through why you choose
23 sometimes but not always, rate on a -- provided emergency
24 ratings and how those are calculated as well? What's the
25 cost benefit thinking there?

1 MS. BOURG: Sure. So, I talked about a small
2 subset of our facilities where we do calculate short-term
3 emergency ratings. Those are typically calculated on an
4 hourly basis and go through the same program that I talked
5 about that's automated and has all of the interface and
6 connectivity with the EMS system to provide the information.

7 When needed, because of system reliability
8 issues, we obviously have the capability to calculate a
9 short-term emergency rating outside of the automation and
10 provide that to both our real-time system operations
11 personnel and to MISO for their use.

12 MR. KOLKMANN: Okay.

13 MR. DAUTEL: Michelle, I had a follow-up question
14 to the statement you made in your opening statement. I
15 think we've heard in our outreach a lot of the things you've
16 talked about in terms of AARs and DLRs not being very
17 helpful during planning.

18 The caveat we often heard after that is of
19 course, for economic projects that are being planned, they
20 may be of some use. I think you said the opposite of that,
21 and I just wanted to unpack that a little bit and understand
22 if we're thinking about the same thing or you're talking
23 about something different or what the rationale is behind
24 that.

25 MS. BOURG: Yeah, I mean my comment was just

1 simply related to the time, domain and the time horizon and
2 the fact that yeah, we really only have certainty around
3 what that weather or that temperature information is going
4 to look like right now, here and present and reasonable
5 certainty like in the near future.

6 As we think longer term around transmission
7 expansion, reliability planning, economic planning,
8 generator interconnection, that level of uncertainty for us
9 is not something that we're comfortable with. You know,
10 making an assumption around temperature information as we
11 think into the future. Does that answer your question?

12 MR. DAUTEL: Okay, I think so.

13 MR. KOLKMANN: Does anyone else have any comments
14 on that or? Thank you all for your presentations. I do not
15 want to cause any drama, but I think I heard a direct
16 disagreement between the gentleman from PacifiCorp and the
17 gentleman from Potomac Economics. I understand you
18 represent different types of organizations.

19 But perhaps we should first establish that there
20 is a disagreement? It sounded right towards the end of your
21 presentation that everything is working fine and no change
22 in requirements, et cetera. Okay, go ahead you can --

23 MR. SHAH: So, PacifiCorp believes that AAR and
24 DLR does have benefits. But the benefits should already
25 concentrate in the sense that a broad spectrum of applying

1 this to every single line segment may not be an effective
2 use of the technology as compared to a very focused method
3 of this is why this line, we are using AARs and DLRs on.

4 That is the approach, I think that's why. And
5 again, the information about congestion is with the
6 transmission planner based on their transmission planning
7 studies or the RTOs on the real-time operations, but those
8 are the information points that we should be taking in order
9 to consider which lines are there, should be.

10 But what PacifiCorp does not believe is that --
11 is to mandate it for every single transmission line.

12 MR. KOLKMANN: Okay, that's totally fair.

13 MR. WANDER: Can I jump in?

14 MR. KOLKMANN: Yeah, of course, of course.

15 MR. WANDER: I don't think we would generally
16 disagree with that. I think it's rather that you cast a
17 wide net on a requirement to go through some steps. And
18 those steps could include demonstrating that oh, it doesn't
19 make sense here because. And that "because" could be a
20 micro-climate where temperature spikes, if that's, you know,
21 if that can be verified.

22 Or that could be the limiting element is not
23 subject to ambient adjustment, but even that as I said,
24 would have the residual benefit that then we can zero in and
25 say there's huge benefits in upgrading that limiting

1 element.

2 So, I think it's just on the initial set of
3 requirements that that should be broad. But within that
4 there can be exclusions and prioritizations.

5 MR. KOLKMANN: Okay, and that's great. I'm glad
6 everyone's getting along. But --

7 MS. BOURG: I was wondering what the disagreement
8 was.

9 MR. KOLKMANN: So, I going to -- one of the last
10 paragraphs of the PacifiCorp statement was, "PacifiCorp does
11 not see it needs to revise existing FERC regulations and
12 NERC standards covering distribution and coordination of
13 facilities rating methodology as part of any broader
14 effort."

15 MR. SHAH: So, let me clarify that statement.
16 It's more reflecting of the question that one of -- it's,
17 there is a claim being made that there is opacity in the --
18 or there's less transparency in sharing the transmission
19 rating methodology because of different entities.

20 Again, as I -- and the paragraph pointed before
21 is the entity's related to the reliability concerns like
22 their reliability coordinator or the transmission operator,
23 transmission planner, was designing the system. They have
24 an ample opportunity to request that transmission rating
25 methodology and use that.

1 And with that specific concern, PacifiCorp
2 believes that there is no additional regulation required.
3 Again, there might be examples where a developer may -- a
4 generation developer may think that the transmission rating
5 methodology is opaque to that particular developer, but that
6 really goes into -- it might be related to interconnection,
7 but the transmission owner or the transmission provider is
8 looking at the entire system and the reliability concerns
9 with that.

10 So, that's -- that doubles the point being driven
11 with that particular paragraph, that no additional
12 regulation is required.

13 MR. CICCORETTI: I think I want to follow-up on
14 some of that discussion and direct my question to the two
15 gentlemen who advocated for requiring AARs. You said that
16 it shouldn't be required on all lines, but as you said most
17 lines. How do you draw that line? Where would that
18 requirement fall? Which lines would be exempt, Mr.
19 Casablanca, do you want to start?

20 MR. CASABLANCA: Yes. So, from our perspective I
21 think my statement, there are some historical design
22 practices that you know, in a sense we've grandfathered. I
23 mean we've got some assets that are over 100 years old in
24 some of the regions and based on maybe how some of the
25 clearance criteria was applied when those assets was

1 designed, we don't think it may be safe or prudent to apply
2 it in some facilities, right?

3 So, I would say design methodology, rating
4 criteria, probably are some factors that should come into
5 play when we select which facilities, we would implement
6 AARs and which not. I think some examples have been made as
7 well here in the panel where there are some facilities where
8 they are, let's say coming up a lot in day to day operations
9 or in the market, and maybe that should be your radar.

10 Maybe that's the way of taking -- that should be
11 our radar. Maybe we should look at some specific subset of
12 facilities that are implementing AARs may give us the most
13 benefit for the investment we need to make and whether it's
14 an RTO or transmission owner and kind of going through the
15 burden and cost of implementing the AAR methodology to
16 actually get the benefit from AARs in the real-time
17 environment. So, I think those are maybe some guidance I
18 would give on how to make that selection.

19 MR. CICCORETTI: Mr. Wander?

20 MR. WANDER: So, I think I would say I think
21 having it as a broad requirement to go through a process and
22 that process itself would then eliminate facilities that are
23 inappropriate. We use the word feasible for AAR but just
24 you know, it would be you know, if a professional engineer
25 puts his name on something and says this cannot be

1 temperature adjusted, or this is not suitable, we would
2 tend to believe him.

3 But that would be the process. The process would
4 be identifying which ones were suitable, which ones weren't,
5 and they would have to affirmatively -- the TO's would be
6 responsible for affirmatively saying this is inappropriate.

7 Now within that, I think there should be a
8 prioritization. We, you know, a market-based
9 prioritization, administered probably by the transmission
10 provider or ISO/RTO, but outside ISO/RTOs maybe the
11 transmission provider.

12 MR. KOLKMANN: So, you're suggesting a process
13 that includes both technological and economic factors?

14 MR. WANDER: Well, the initial set would be a
15 broad requirement to affirmatively state which facility is
16 ambient adjusted. If we're starting from a set that you
17 know, we're agreeing or starting from, you know, 104 degree
18 conservative seasonal rating, and you could establish how
19 that response would come to you or who would sit in a
20 position to determine which facilities are exempted
21 effectively.

22 But so, I'm saying that initial requirement would
23 be broad. And the benefit of that would be that you'd start
24 to develop a database of -- for the planning process, a
25 database of potential upgrades that are very cost effective

1 to make a facility ambient adjustable. You know, if it's
2 lacking some attribute. But I'm not suggesting that we
3 compromise our liability at all.

4 And I'm not suggesting that TO's take a chance.
5 I'm rather suggesting that we come up with the metrics of
6 how much conservatism they're applying, and what's the
7 nature of the need for that conservatism. We all agree the
8 planning, you know, the longer the horizon, the more
9 conservative you need to be.

10 But it could be the nature of that conservatism
11 is lack of a temperature gauge somewhere nearby. And that
12 might be a very cost-effective solution.

13 MR. CICCORETTI: And we'll open it up to any
14 other panelists that want to comment on where to draw that
15 line, bright or otherwise, Mr. Kramer?

16 MR. KRAMER: Thank you. I guess the comment I
17 have with the broad process is that it's just that, it's
18 broad. You're talking thousands of transmission lines that
19 would have to be dozens of man hours spent to justify why
20 this line that hadn't had congestion in decades would
21 suddenly need to be looked at and reviewed, specifically to
22 see -- well maybe if it will sometime tomorrow, we need to
23 do something.

24 It would seem as though it should be much more
25 cost effective to focus on those that answer the two

1 questions of how much and how often? If you're talking
2 about economics here, and you're not talking liability,
3 we're only talking economics, then it would seem as though
4 there should be flexibility built in to work with the TO
5 and the RTOs and ISOs, to determine what is a level of
6 congestion and economic impact of certain lines, and then
7 screen for that.

8 That to me seems to be a relatively simply
9 process to at least get that initial screening. Because
10 once you get that screening, then you need to look at what's
11 the root cause? Okay, we've already heard that there is in
12 some cases, terminal equipment -- in many cases, actually,
13 that are limiting factors.

14 There are limits of what we can do and what
15 temperature adjustments can do on terminal equipment.
16 Switches don't normally temperature rate very much quite
17 frankly, from our experience. However, then you run into
18 okay, I've identified a line that would be a potential
19 economic, you know, maybe AARs would be applicable, then you
20 need to look at what's called the next limiting element.

21 Because these systems have been developed over
22 the years to be relatively concise and consistent. In other
23 words, the RTO -- I can only speak within the RTO arena.
24 The RTO arena, at least in MISO, is there's been efforts
25 made to I guess I could use the term harmonize, make them

1 consistent across the footprint on the different systems
2 that have been upgraded so that the ratings would be if you
3 make a change to one line, you may quickly within a very
4 short increase, hit the next limit.

5 So, you need to look at that from a holistic
6 viewpoint rather than just one line at a time. You need to
7 look across the entire system to which, as Potomac Economics
8 says, you want the most bang for the buck. So, there may be
9 two lines, there may be three lines that need to be looked
10 at and identified for an upgrade to get the full benefit.
11 Thank you.

12 MR. KOLKMANN: Miss Frazier and then Mr. Shah.

13 MS. FRAZIER: Thanks. I don't have a suggestion
14 on a bright line in that I think there's a tendency in this
15 arena to let the perfect be the enemy of the good and so,
16 we've heard a lot of discussion around, you know, you have
17 to include every line all the way to you should let us
18 cherry pick any line or not required to make any
19 requirements at all.

20 Because the incentives are not aligned for
21 transmission providers to voluntarily do this, I think it
22 would be helpful to have the regulators say this is the
23 right thing to do. This is the way to optimize the system,
24 but I would not want to see that fall into a situation where
25 in order to get it perfect, we miss the benefits of the easy

1 solutions and the low-hanging fruit.

2 MR. SHAH: So, a couple of things. So, the
3 question was about what can be the criteria for determining
4 the subset of lines. So, from the transmission planning
5 perspective, the planners perform a 10-year out study. If
6 there are congestions being identified in those kinds of
7 studies, you can potentially look at the performing a
8 real-time study based on the ambient conditions to see
9 whether that mitigation is going to be a fruitful mitigation
10 or not.

11 Or, you can use the LIDAR surveys that have been
12 done to determine the FACH ratings of every single line that
13 determines which are the most congested lines and which are
14 the lines sagging the most. Those kinds of criteria could
15 be very beneficial in determining which ones should be
16 focused on -- which line should be focused on.

17 MR. KOLKMANN: Thank you.

18 MR. CORBETT: Just to follow-up on the short-term
19 duration ratings, I kind of reflect back on this car
20 scenario where it's driving down the road 65 and then you
21 get increased risk on the path and you slow down to 40.
22 With regards to operating the transmission system, we're
23 operating this system to a normal rating and then as the
24 system develops additional risk, we speed up, okay.

25 So, what I'm wanting to know is when you're

1 operating the system at an operational rating and you need
2 more capacity and you could pivot towards ambient adjusted
3 ratings, or you can pivot towards short-term durations, so
4 what is the trade-off? Can you speak to what are the
5 trade-offs, what are the risks that you're willing to
6 inherently absorb for this additional capacity through
7 short-term ratings when maybe the line is rating because of
8 the sag of the conductor?

9 Okay, rather than shall we say, the risk that you
10 would anticipate from applying AARs, yes Rikin, yes.

11 MR. SHAH: That was from my last.

12 MR. CORBETT: Okay, Carlos?

13 MR. CASABLANCA: My understanding is we, I think,
14 maybe is to try to avoid to apply short-term emergency
15 ratings on facilities. When we do, I think it's been more
16 associated with substation equipment. I think for us, AAP,
17 the ambient adjusted ratings are easy, right, as I've
18 already explained we're kind of already doing it for the
19 most part in many locations.

20 The one challenge that I see, and I know we've
21 discussed it internally around short-term emergency ratings
22 is the fact that this is a rating that essentially exceeds
23 what you normally would consider your maximum rating. And
24 then let's assume that you actually consume or operate to
25 that limit, to that short-term emergency rating.

1 Now, you have to essentially account for and
2 track the fact that you consume some life on the asset. And
3 now for that asset, how many times are you going to do that?
4 And tracking the history of the number of times that I have
5 actually operated this asset, sort of beyond the normal
6 emergency rating that I would normally apply, that becomes
7 sort of a burden documentation. Plus the fact that when we
8 do, I think there's been a few cases where we actually have
9 done short-term emergency ratings, but it's not an automatic
10 process essentially.

11 You have to engage a subject matter experts
12 internally, an analysis has to be done, it has to be
13 documented, I think for NERC compliance reasons, so it's a
14 multi-hour process to come up with a short-term emergency
15 rating versus what, at least for us, adjusted ratings is
16 sort of like almost automatic.

17 So, there's a burden to it and then the tracking
18 of it long-term that becomes a challenge as well, so that's
19 what I can comment on that.

20 MR. CORBETT: Yes, so you don't use the
21 short-term? You're not inheriting the risk. You're
22 pivoting towards the ambient?

23 MR. CASABLANCA: Normally, yes.

24 MS. BOURG: Yeah, it's normal conditions for
25 Entergy use, the temperature adjusted rating, when you

1 really see that it's very -- there are benefits to your
2 benefits to use in the temperature adjusted rating
3 throughout other ratings for us and foremost, increased
4 operational studies, operational plans, outages in the form
5 of operating guides, tension bearing load sheds and
6 operational constraint where it can be gives us that ability
7 in that perspective.

8 And certainly, it is not our attention or it's
9 not our desire, it's not to operate, in short-term emergency
10 rating, they're there for a reason. They're there obviously
11 to give time to upgrade a line or to plan and mitigate the
12 issue, but it's certainly not our preference short-term
13 emergency rating.

14 So, there's a burden to the tracking of it
15 long-term, I think that's a challenge as well, that's my
16 comment on that.

17 MR. KOLKMANN: Because you don't -- in the
18 short-term you're not inheriting the risk, you're pivoting
19 towards ahead.

20 MR. CASABLANCA: Normally, yes.

21 MS. BOURG: Yeah, under normal conditions for
22 Entergy as well that we would use the temperature adjusted
23 rating, and we really see that really as a very low risk
24 proposition. There are advantages to using the temperature
25 adjusted ratings in the form of increased operation

1 flexibility and outages on the system in the form of you
2 know, operating to prevent central pollution, we find
3 ourselves in operational constraint, that DMV, they're
4 temperature adjusted so it can give that flexibility in that
5 perspective.

6 And certainly, it's not our intention or it's not
7 our desire to plan to be operating to a short-term emergency
8 rating, they're there for a reason, obviously, to invest
9 some time to create a plan to mitigate the issue, but it's
10 certainly not our preference in the operating tools for a
11 short-term emergency rating.

12 MR. SUBAKTI: In California, there are 3 to 500
13 proposed kV proposed on the cells, right? And we actually
14 have to make one long-term positions every single time. It
15 appears on the transmission line it's a more efficient way,
16 or, I think we all know in the NERC family, in the FERC
17 approved standard, we have to do it as N minus 1, right?
18 What would happen if -- and that could be a trade off on how
19 much oil that you could allow in that transmission line in
20 the normal continuous stated versus how much would you be
21 willing to allow for the N minus 1 contingency rating.

22 So, in our experience by working with it, that's
23 how we know it's real, every single day, so you could
24 suffice that you could re-inspect your system to have a
25 lower pre-contingency to allow the use of emergency N minus

1 1 or N minus 2 ratings, and in which case we think that you
2 could actually use something for an emergency rating versus
3 you're just going to say you know what, we're not going to
4 go all the way to the emergency rating, therefore I'm
5 actually allowing more flow in the normal continuous rating.

6 That pre-load easing element that occurs when you
7 are reinspecting your system, that the pre-contingency flow
8 is actually in the system. So, the other portion that we
9 have to think about after that is that in the event that you
10 have something in it, you'd actually have the resources to
11 actually reinspect your system within 30 minutes to actually
12 bring that flow down, all the way down because you're
13 allowing so much more maybe to enter, now you're actually
14 having to have more to reinspect your system in an
15 appropriate timeframe.

16 And we actually, in California, I think we
17 actually embark on what we call the corrected capacity in
18 our market to figure out how much capacity do we have that
19 will allow, you know, that the emergency rating is working,
20 because sometimes you may end up having a wide, more ramping
21 capability to get off of that emergency rating if you're not
22 careful.

23 So, it's a line day-to-day position that I think
24 the operators are cognitive, they have to make those
25 decisions, whether or not they're allowing more megawatts in

1 the normal pre-contingency and expansible not using the
2 emergency rating the other way around.

3 MR.KRAMER: Yes, as we covered, just recapping,
4 the way I'm using short-term emergency ratings is it is
5 post-contingent and so, you know, before those contingencies
6 happen, you're maintaining the normal continuous rating as a
7 separate monitor tone, so you're not pushing over that
8 limit.

9 It's only post-contingent, so you know, if that
10 contingency actually occurs, then you're going to go over
11 that normal continuous rating, so the question becomes to
12 what extent do you know for certain that your
13 poste-contingent actions can get you down to that normal
14 continuous rating in the allotted time period, and I think
15 that's the problem that utilities have.

16 MR. SUBAKTI: Like, you know, even for one of the
17 cases for the emergency ratings, why they all conform, and
18 it gives the operators a time to get the system under normal
19 by continuous ratings for the terminally constrained element
20 and take action.

21 And, so that action may equate whether it's a 30
22 minute emergency rating, or a 4 hour emergency that is what
23 operators should do to get the system back to normal.

24 MR. KOLKMANN: Thank you all for this discussion.
25 I want to turn to the extra emergency if I can. In

1 implementing either AARs or DLRS, at least when there's a
2 connection that creates congestion, I asked so how do you
3 manage this? What are your thoughts on that, what are the
4 connections and one of the things I wonder is would
5 transparency fully help out on this?

6 If market participants are aware of how
7 introducing line ratings aren't being calculated, they can
8 make decisions based on how the rating is accordingly, or --
9 any research on that would be helpful. Mr. Subakti first,
10 and then Amanda.

11 MR. SUBAKTI: Yeah, what I'm still wondering the
12 same way, for best reasons right now, for our FDR, or as we
13 call it, our STRR, we use the flow rating. We use the flow
14 rating that is in there and we know that you know, the
15 seasonal rating is more over time.

16 And then when the end of the day ahead, we
17 actually got some of our transmission owners to give us
18 trend uses, it's the high open data, if you actually -- it's
19 a small area, a compact dense area. We know that in that
20 area there's going to be a high of 80 degrees tomorrow, we
21 use 80 degree temperatures instead of the usual seasonal
22 summer rating at 104.

23 So, that's why to create a difference between
24 what the DLR model versus what is in the day ahead model,
25 that you may end up not having congestion in the day ahead

1 and you collected something in the CRR or the FTR process.

2 Actually, the same questions could be made
3 because when we use that day ahead for the Agency rating,
4 and we create that congestion based on the 80 degree rating,
5 and then real time it's actually 78 degrees rating, and the
6 congestion disappears. So, somehow, we corrected the
7 congestion in the day ahead and it's not there in the
8 real-time. So, this is actually one of the things that
9 maybe comments about we might want to take a look at it -- I
10 know that PJM and ERCOT had just done this, and frankly will
11 look at what is the impact of the DLR and the congestion
12 offset as well as the differences in there and it was very
13 interesting.

14 Before us right now, we don't do that in the FDR
15 and the CRR and we do that in the day ahead and the
16 real-time and we do see that difference you know, both
17 directions, that is in there. And even beyond that, I think
18 when somebody's asking about planning, if the same question
19 occurs for people who are, especially in California where we
20 have a high density area where we assume that we need the
21 generation in the area, right, because we have a
22 conservative rating for planning.

23 But then every time in real-time that generation
24 never runs because it's never needed, because the
25 temperature goes higher. So, that's what happens with that

1 investment with the generator that's in there. So, that's
2 mainly why, you know, my comment is asking maybe before we
3 make any -- it's good for reliable, for transparency, but at
4 the same time not quite sure what the impact in the market
5 and if it's going to create efficiency in the market or
6 distortions in the market, what have you in there, so.

7 MS. FRAZIER: So, in ERCOT, the CRR market use a
8 monthly high rating which is not perfect. But they also,
9 CRR markets don't sell 100% of the transmission capability,
10 even up until the month ahead market. So, there's always
11 conservatism in those forward markets.

12 They don't include all of the outages that occur
13 in real-time, so you're always going to have discrepancies
14 between the forward market and the day ahead market and the
15 real-time market. And those are discrepancies and variances
16 that get accounted for and there are different winners and
17 different losers, but that doesn't mean that you shouldn't
18 try to make the market more reflective of the actual
19 capability.

20 So, a monthly rating is not perfect, but it's
21 certainly better than 104 degree rating in February. And
22 so, I would you know, I would again suggest don't let the
23 perfect be the enemy of the good and bring these dynamic or
24 really, it's just ambient adjusted temperatures in the
25 forward markets.

1 But put those into the forward markets and allow
2 the markets to adjust to that information.

3 MR. KRAMER: Thank you, I think what you're
4 hearing is that every one of the markets are different.
5 They all have different terms for the different products
6 that are used. And I think that points to the fact that
7 there needs to be flexibility in allowing each of these
8 markets to work out how these impacts would apply to them.

9 The FTRs, as we just heard, at least in MISO, the
10 farther out you go, the less certainty as we've said before,
11 you have in forecasting the weather. We don't use the
12 Farmer's Almanac, thank heavens, because if you've been
13 reading it, it would be very extreme coming up.

14 So, those are the things that we're most
15 concerned about is making sure that all of these factors
16 that would impact or be impacted by ambient adjusted
17 ratings, we have a chance to review them, to examine them,
18 to make sure we have a full understanding of the impacts of
19 any ambient adjusted ratings that we may be applying.

20 MR. KOLKMANN: Mr. Wander?

21 MR. WANDER: I think this just puts more of a
22 premium on it, just so the markets can see this before you
23 know, the rights are sold. They know the process. But we
24 couldn't be -- and I think Amanda's points go to this right
25 away. We're not arguing that because the financial markets

1 and the options assume an outage, that we better impose that
2 outage in real-time. We're clearly not assuming that right?
3 So, I think it just gets back to transparency. That the
4 increased need for transparency.

5 MR. KOLKMANN: One of the other things we heard
6 in the morning panel was regarding forecasts. So, I wanted
7 to touch upon it here as well. And this is really a
8 question in regard to the application of AARs to the day
9 ahead market.

10 We've heard different opinions here. And so,
11 the question is essentially how -- why aren't you more --
12 why not -- is it possible to set a confidence interval
13 conservative enough that might alleviate some of your
14 concern about applying ambient adjusted ratings to the day
15 ahead market as well?

16 MR. KRAMER: I'll start. Let me understand when
17 you say confidence interval, what are you referring to?

18 MR. KOLKMANN: What I mean is you can set --
19 we're not talking about a 50/50 forecast. We're talking
20 about certain standard deviations more conservative than
21 what you would typically expect to happen. So, it would --
22 it could be for example, 98% confident we heard this morning
23 that load will be -- that the temperature will not exceed a
24 certain point.

25 I think I asked this morning one of the experts

1 whether for whatever confidence you want, you can get a
2 conservative forecast for that, and I thought I heard yes.
3 So, a follow-up question I have is if you can get whatever
4 confidence you want and even in the day ahead timeframe, why
5 not use that forecast in the day ahead market?

6 MR. KRAMER: Okay, I'll do my best to what I
7 think the question is. As I've said I think in my
8 statement, when there was a discrepancy between real-time
9 and day ahead, and you say a day ahead of 100 in real-time,
10 the temperature is 110 and so, you know, you have to reduce
11 the rating.

12 The operators are going to do what's necessary to
13 keep the system safe. So, that's a given, that's going to
14 happen. So, now you're talking money. And you're talking
15 the difference between what someone expected would be the
16 dispatch pattern, and the day ahead market when they ran the
17 commitment schedules versus real-time.

18 That's where we think that that needs to be
19 thought of very carefully. I know some are doing it
20 already. MISO is somewhat and I guess you could say we're
21 not as -- AAR as Mr. Wander said, isn't that popular, at
22 least yet and MISO is not that prevalent.

23 But there needs to be a discussion around what do
24 you do with that data you said in their market, with that
25 difference in the dollars? In other words, in the day ahead

1 you may have collected money that in real-time doesn't need
2 to be paid or vice-versa. So, those are the things that we
3 have that in certain cases which will make whole payments
4 and things of that nature.

5 But none of that that I'm aware of, reflects or
6 incorporates what could be a driver such as ambient adjusted
7 ratings. Did that make sense? In other words, we have
8 adjustments between day ahead and real-time, but I'm not
9 aware of anything that incorporates or captured impacts,
10 potentially from the ambient adjusted ratings that would
11 drive those.

12 MR. DAUTEL: There's a possible analogy, the
13 forecast we currently do between per load between the day
14 ahead and real-time market? That's a forecasted value that
15 could be accurate or not accurate and be different in
16 real-time.

17 MR. KRAMER: I think there could be. We'd have
18 to look into the forecasts for the ambient adjusted ratings
19 because here again, you do have depending on what is the
20 particular binding constraints, because you're going to have
21 a different set and we understand that, between day ahead
22 and real-time already.

23 Just we are using -- the impact of some of the
24 weather already, so to speak, because as you just said, load
25 is incorporated. I don't think it's impossible, but it's

1 something that we need to have time to evaluate in how to
2 best reflect that and capture those impacts.

3 MR. SUBATKI: In California ISO we have multiple
4 transmission owner and I can think of two transmission
5 owners right now that are actually giving us you know, a
6 so-called dynamic plan rating adjustment or adjusted rating
7 in some sort. So, in the day ahead they would forecast the
8 temperatures and they say it's going to be 80 degrees, I'll
9 plug in whatever the 80 degree reading in that, and it's in
10 there and some -- the other transmission owner would say
11 that hey, you know, tomorrow is going to be a little bit
12 windy, so we'll put whatever, 4 foot per second instead of 3
13 feet per second, so then it's you know, it gives us
14 something in the day ahead.

15 And then in the real-time that number is adjusted
16 again. So, we are doing that, and I think it's a valid
17 question for us at least, and I think this is different for
18 every single market as well. They're very similar. I used
19 to work for another ISO in eastern connection, but it's very
20 similar because for us, at least in California ISO, when
21 there's a different within load for example, right, within
22 load forecast in the day ahead and the real-time, those are
23 kind of like an imbalance.

24 There's an imbalance that's within a day and a
25 half and the real-time, then it becomes you know, there's a

1 sufficient guarantee or BCR, or whatever, micro-payment that
2 is for the energy portion that is in there.

3 Now, for the limit changes, it's a little bit
4 different in California ISO when we have a limit changes,
5 where for a transmission line that is binding, those are
6 kind of like what we often call real-time congestion offset,
7 which is, you know, a different bucket of money that is in
8 there.

9 So, you're right, I think in a sense, it becomes
10 very similar, but you know, one way or the other it's going
11 to impact the economic on it. And I think I agree that
12 whatever that we do -- there's an economic impact in there,
13 but whatever that we do is also give the system operator a
14 better awareness of what is the truth of the transmission
15 capability of the system, and I think a lot of us are
16 somewhat -- I mean it's kind of always challenging is
17 trying to -- how do you value this increased awareness of
18 the reliability because that is actually a good value and a
19 good benefit that we could actually see all this stuff, but
20 it does impact, you know some of the markets.

21 And I agree it's put a premium on the
22 transparency. So, in California ISO, we always publish what
23 is the limit that we are using in any given market run. So,
24 this -- there will become more data. I mean there's a lot
25 of data that's out there, so market participants are more

1 than welcome to grab all those data, but it's a lot of data.

2 If you get all these limits that are in there,
3 but the data is out there for some ISO maybe, hopefully for
4 all ISO, for all this limit that is out there. And because
5 for every market run when the limit changes, it will impact
6 all of those.

7 MR. KOLKMANN: Our understanding is that, and I
8 asked this of the previous panel too. I'm curious to know
9 what you guys think of this. Our understanding is that RTOs
10 at times asked TOs for an updated rating in real-time.
11 Typically, this is for reliability reasons, it's done for
12 good reason.

13 And it takes advantage of differences in
14 temperature between what is planned for using the static
15 rating and what actually is occurring at a given moment. Do
16 you guys -- are you guys familiar with this process and
17 would -- it would seem like implementing ambient adjusted
18 ratings would be able to capture a lot of the benefits which
19 might be occurring on a one-off basis. So, what are the
20 benefits there, if at all.

21 MR. SUBAKTI: Let me start, I think, you know,
22 Mike Wander touched a little bit on this as that as a system
23 operator, you know, California ISOs or maybe other ISOs, the
24 first and foremost thing is being able as a system operator
25 is to be able to have this information right in front of

1 them, that's very important -- that's premium for us.

2 California ISO has been an ISO for some time and
3 we just become an RC, a reliability coordinator, and our
4 footprint of ISO and our footprint of reliability
5 coordinator is actually different, right? The reliability
6 coordinator footprint is actually bigger than the ISO
7 footprint.

8 The reason why I'm saying this is because for ISO
9 footprint, for California ISO footprint through our tariff,
10 we actually have an operational control for some of these
11 transmission lines that is turned over to us.

12 For those transmission facilities that is turned
13 over to us, we actually have a requirement through our
14 tariff that allows us to have what we call a transmission
15 registry. The transmission registry is actually a
16 requirement for every single equipment within our control
17 grid to have all the facility ratings for every single one
18 of the bus, the CT, the disconnect, the jumper, the limit
19 there and everything, which then allows us as the California
20 ISO to be able to know exactly what is the most limiting
21 element at what any given point in time.

22 And I think that's probably pretty unique for
23 California ISOs because we have the ability to do that
24 through our tariff, to kind of ask and request and mandate
25 that information from our transmission owners. For that

1 particular reason, our operators really like the idea, but I
2 know exactly what is the most limiting, and if it is a
3 conductor, then they can actually call and ask if we
4 actually have a transmission adjusted rating.

5 And we actually made the requirement for all
6 those transmission owners if they do have a transmission
7 adjusted rating, at the very least you've got to give me an
8 Excel spread sheet that has all the ambient temperature,
9 similar to what ERCOT does and what not.

10 Now, that's not the same for maybe other ISO,
11 it's not even the same with the RC portions of California
12 ISO that is not part of the control grid portion that is in
13 there. But I'm familiar with the process, and I can see
14 actually in both directions, which one the operators really
15 like, but at the end of the day, the operators need to know
16 what is exactly the most limiting element and what is the
17 major of that limiting element, so that they actually know
18 right away to make an informed decision and know what the
19 risks are that they are getting.

20 So, I think that's very good, but I think that's
21 a lot of data as well.

22 MR. KRAMER: Dennis Kramer for MISO TOs. Yes,
23 MISO -- the process that you described is accurate. MISO
24 will contact our operating center and ask if the rating of
25 the line could be adjusted upwards, so the engineers on the

1 staff -- on the line, would check the rating, make sure that
2 is the limiting element, number one, as we talked about.
3 It's not a circuit breaker or something of that nature, or a
4 wave trap.

5 And then I think in most every case we would
6 agree to the change. MISO would put it in its system. I
7 assume their dispatch system, and also their state estimator
8 would do the same with theirs, so yes, those adjustments do
9 occur at the request of MISO.

10 MR. KOLKMANN: Anyone else want to say something
11 -- oh, sorry, Amanda?

12 MS. FRAZIER: I was just going to add -- and they
13 would happen automatically if you incorporated AR's into the
14 system.

15 MR. KRAMER: Exactly.

16 MR. KHELOUSSI: We're definitely focusing, just
17 for discussion purposes on the proposal for AARs, but I did
18 want to ask just to get opinions. Are there even limited
19 circumstances where the benefits of the DLR would be so
20 obvious and so overwhelming that they should just be
21 required? Yes or no? Opinions? And if so, how would we
22 know that? What would a process be that would allow us to
23 figure out what facilities those might be?

24 MS. BOURG: I guess, you know, in the spirit of
25 there's not a one size fits all approach for everybody, I

1 just think about Entergy's journey and the experience that
2 we have had with applying temperature adjusted ratings sort
3 of in a scaled fashion for -- but they are relatively
4 substantial subset of our facilities.

5 And I think about the benefits that we've derived
6 in terms of you know, average and maximum temperature
7 adjusted ratings above that static facility, and we've done
8 that using the information that we have internal to our
9 organization, right? Institutional knowledge and the
10 understanding of all of the elements that are in series that
11 make up that transmission facility knowing what those
12 limiting elements are and having the visibility into our
13 system to be able to make informed decisions as to how
14 temperature may or may not make that facility adjustable.

15 And then I think about the deployment of
16 technology that has to happen to get that recognizance from
17 the field for dynamic facility ratings, you know, the
18 deployment of capital, you know, the maintenance associated
19 with it, the telecommunication.

20 Someone earlier on one of the panels talked about
21 potentially some of the cyber security concerns with the
22 transmittal of all of the information about the status of
23 the bulk electric system, so I'm sure there's risks and
24 trade-offs with both, but based on you know, some of the
25 gains that we've seen through our process, using

1 temperature adjusted ratings, you know, I think we're
2 pleased with what we see and would certainly not advocate
3 for any type of you know, requirement to do one over the
4 other, because I think, you know, either/or may have some
5 place, but certainly I think we've demonstrated that this
6 one has been very successful for us.

7 MR. KRAMER: Yeah, and just to echo what Michelle
8 said. The one size does not fit all, especially when you're
9 talking about dynamic line ratings. Because you'd have to
10 not only go through the expense of identifying where it
11 should be, but then implementing it, maintaining it secure,
12 keeping that data.

13 And also, you need to really examine the value of
14 a number that's changing, possibly every minute or every two
15 minutes. In other words, what are you going to use that
16 data for? Just because you can gather it, just because it's
17 obtainable, does not mean you're going to be using it for
18 decision-making.

19 And I think that's what we're really trying to
20 strive for here is what are the information sets and data
21 sets that's most impactful to make the benefits available to
22 our customers at a reasonable cost?

23 The cost of the DLR would, I think, would be
24 something we'd have to look at very, very closely before
25 we'd ever move into that arena where it would be -- you'd

1 have to have a discrete value to looking at something every
2 minute, or every t wo minutes as opposed to possibly every
3 hour. Thank you.

4 MR. CASABLANCA: And I'll just echo as well, the
5 similar statements. In spite of all the pilots, the federal
6 pilots we've done on DLR technology, you know, we're nowhere
7 near comfortable in applying it in a real-time operational
8 environment. I think our concerns -- it's an interesting
9 technology, it probably has some short-term niche
10 application today, but you know, long-term deployments, the
11 processes around all that and the challenges with the
12 security communication maintenance operation, I think
13 there's a lot of questions for us to try to answer
14 internally.

15 So, I don't think we can give any guidance on how
16 would we select which circuits to apply it to today.

17 MR. SHAH: It just again, like on the same points
18 but similarly stating that you know, it's the tail is the
19 best fitted position to determine those ratings for where
20 the DLR's, for example, just giving the same example that I
21 said in my opening statement.

22 The source behind that constraint was wind energy
23 and so, in order to enhance the transmission capability
24 across that corridor, that's where the DLR system was
25 implemented and so, I agree that you know, not one size fits

1 all would kind of apply to the DLR technology itself as
2 well.

3 MR. WANDER: So, as Rob said, you know,
4 everything comes down to incentives. A requirement is an
5 incentive. I don't think we were as comfortable going with
6 the DLR, you know, concept. We thought you appropriately
7 scoped this panel, the folks on the ambient adjusted. To
8 me, I think again, back to the sort of opportunity to
9 collect more information so that we're making informed
10 decisions and there's transparency, that could be part of
11 the requirement is to you know, if you can't ambient adjust
12 to the full extent, you know, you have to apply significant
13 transmission reserve margins, or whatever you want to call
14 it, you know, DLR's could solve that.

15 So, I think we would stop short of saying
16 requirement, but it definitely should be part of the
17 discussion. And I know you are, with the next you know,
18 additional NOI-type discussions.

19 MR. KOLKMANN: Okay, thank you. It's now
20 slightly after 4 o'clock, so I want to be respectful of
21 everyone's time. Thank you again very much for joining us
22 here today. It's been very informative.

23 There will additionally be a request for notice
24 of request for comment afterwards, so to the extent we
25 didn't cover anything, please feel free to say that in your

1 comments and we look forwards to those, so thank you. We'll
2 convene tomorrow at 8:45.

3 (Whereupon the Technical Conference concluded at
4 4:03 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the
5 Matter of:

6 Name of Proceeding: Managing Transmission Line
7 Ratings

8

9

10

11

12

13

14

15 Docket No.: AD19-15-000

16 Place: Washington, DC

17 Date: Tuesday, September 10, 2019

18 were held as herein appears, and that this is the original
19 transcript thereof for the file of the Federal Energy
20 Regulatory Commission, and is a full correct transcription
21 of the proceedings.

22

23

24

Charles Hardy

25

Official Reporter

