

1 FEDERAL ENERGY REGULATORY COMMISSION

2

3 MANAGING TRANSMISSION LINE RATINGS

4 DOCKET NO. AD19-15-000

5

6 TECHNICAL CONFERENCE

7 Day 2

8

9 Wednesday, September 11, 2019

10 8:45 a.m.

11

12 Federal Energy Regulatory Commission

13 888 1st Street NE

14 Washington, DC 20426

15

16

17

18

19

20

21

22

23

24

25

1 PANELISTS

2 Panel 4

3 Adam Rousselle Sr., Alternative Transmission Inc. (ATI)

4 Sean Morash, EnerNex

5 Brett Wangen, GridSME and Western Interconnection Regional

6 Advisory Body (WIRAB)

7 J.T. Smith, Midcontinent Independent System Operator, Inc.

8 (MISO)

9 Aaron Markham, New York Independent System Operator, Inc.

10 (NYISO)

11 Garrett Crowson, Southwest Power Pool, Inc. (SPP)

12 Panel 5

13 Carlos Casablanca, American Electric Power Company, Inc.

14 (AEP)

15 Dennis Kramer, Ameren Services Company

16 Devin Hartman, Electricity Consumers Resource Council

17 (ELCON)

18 Michelle Pivach Bourg, Entersy Services LLC

19 Michael Kormos, Exelon Corp.

20 Joe Bowring, Monitoring Analytics

21 Michael Chaisson, Potomac Economics

22

23

24

25

## 1 P R O C E E D I N G S

2 MR. KOLKMANN: Good morning. Welcome to day two  
3 of the Managing Transmission Line Ratings Technical  
4 Conference. As I mentioned yesterday, this Conference will  
5 explore what transmission line rating and related practices  
6 might constitute best practice, and what, if any Commission  
7 action in these areas might be appropriate.

8 We have two panels this morning, Conference  
9 Panels 4 and 5. Like yesterday, we will allow up to 5  
10 minutes for opening statements from each panelist, followed  
11 by questions and answers. All materials received from  
12 speakers have been posted on the calendar page of ferc.gov  
13 and will also be posted on e-library under Docket Number  
14 AD19-15.

15 In addition, on August 23rd, staff issued a paper  
16 on managing transmission line ratings to help frame certain  
17 issues in this Conference. That paper is also available  
18 from the calendar page. Today's first panel, Panel 4, will  
19 discuss the Ability to Accept and Utilize Dynamic Line  
20 Ratings in Operations and Markets.

21 This panel will feature industry experts  
22 discussing the ability of RTO ISOs to accept and utilize  
23 dynamic line ratings, and whether the inability for RTO ISOs  
24 to accept and utilize dynamic line ratings could be a  
25 barrier to their implementation.

1           Panel 4 will also discuss approaches and  
2 challenges to accepting a dynamic line rating signal.  
3 Finally, Panel 5 will discuss transmission line rating  
4 methodology transparency. The panel features industry  
5 experts who will discuss both the potential benefits and  
6 cost to increased line rating transparency, understanding  
7 that concerns may exist regarding the inaccessibility of  
8 transmission line rating methodologies and resulting  
9 ratings.

10           Panel 5 will also discuss best practice for  
11 documenting transmission line ratings, the merits or  
12 challenges of having line rating methodologies, assumptions,  
13 and/or ratings themselves be available for review and  
14 challenged by market participants and coordination between  
15 line rating methodologies and ATC calculation  
16 methodologies.

17           I want to thank all the participants for being  
18 here today for what I'm sure will be a lively and  
19 informative day of discussion -- morning of discussion. I  
20 want to thank Commissioner Glick for being here. I want to  
21 welcome and thank him for being here. I don't know if you  
22 have any opening statements, but welcome.

23           Let me close with a few housekeeping matters.  
24 The Conference is being webcast. After the Conference, the  
25 Commission will issue a request for comments. As a

1 reminder, please don't bring food or drink other than  
2 bottled water into the hearing room.

3           Please silence your cell phones if you have not  
4 done so already, and there are bathrooms and water fountains  
5 by the elevator bank on each side of the building. We have  
6 a lot of ground to cover in a short amount of time and we'd  
7 like to keep comments within topics laid out for each panel.  
8 If discussion begins to stray outside the scope of the panel  
9 or outside the scope of the question, we may interject to  
10 bring things back to topics.

11           For panelists -- if you'd like to be recognized  
12 to speak, please place your name card on its side, and be  
13 sure to turn your microphone on and speak directly into it.  
14 When you are not speaking, please turn your microphone off  
15 to minimize background noise.

16           Finally, please do your best to avoid excessive  
17 use of acronyms and abbreviations, recognizing that there  
18 are lots. Now, I would like to introduce the FERC staff at  
19 the table. From my left to right we have Tom Dautel,  
20 Jignasa Gadani, Eric Ciccoretti, Al Corbett, Vincent Le,  
21 Michael Gildea, Kevin Ryan, Alex Smith and Michael  
22 McLaughlin. Thank you all for being here.

23           Now for our first panel. From my right to left,  
24 the audience's left to right, we have Adam Rousselle from  
25 Alternative Transmission, Inc., Sean Morash from EnerNesh --

1 EnerNex, sorry, Brett Wangen from GridSME and representing  
2 WIRAB. I'll ask you to say out what that spells.

3 J.T. Smith from MISO, Arron Markham from NYISO,  
4 and Garrett Crowson from SPP. Thank you all for being here  
5 and now I'll let Mr. Rousselle take it away.

6 MR. ROUSSELLE: Good morning. I'd like to thank  
7 the Commission for convening this Conference and inviting me  
8 to present today. Circuit ratings are important to this  
9 Commission's Consumer Protection Mandate. I have focused  
10 much of my professional career on getting ratings correct.

11 I wrote the 2007-2010 NERC alert standard drafts.  
12 I've patented two technologies proven to independently  
13 measure conductor temperature, which were later named as  
14 best practices by the IEEE for determining conductor  
15 temperature for the purposes of facility ratings.

16 I've overseen the development of more than 50,000  
17 miles of bulk electric system ratings, and NERC alert  
18 reviews. I'm the inventor of seven patents which support  
19 reliability standards on the grid.

20 Today, I'm going to try to focus on the third  
21 question that the panel was given and the purpose of this  
22 Conference, as I understand it, is to understand and  
23 possibly have the Commission prescribe best practices for  
24 rating electric transmission circuits with particular focus  
25 on incorporating ambient adjusted and dynamic ratings as

1 opposed to continually or continuing to rely only on static  
2 rating in emergency management systems.

3           And as the Commission has learned from other  
4 presenters, there are different ways to measure and  
5 determine ambient adjusted and dynamic ratings, each of  
6 these approaches will likely help us better understand  
7 congestion, help us optimize the use of existing circuits  
8 and thereby reducing pricing in the day ahead and real time  
9 markets.

10           In short, each of them has merits and one or more  
11 may capture the best practice or practices. So, should  
12 ambient adjusted and dynamic ratings be incorporated into  
13 the energy management systems? The answer is of course,  
14 yes. Measuring the physical capacity and loading of  
15 circuits as they change over time and over seasons will  
16 allow operators to respond to those changes to make better  
17 and more informed decisions.

18           But there is another poignant question before  
19 this Commission in regard to many, if not most, of the  
20 organized ISO and RTO markets that the Commission oversees.  
21 And how this question is answered will determine how  
22 effectively ambient adjusted and dynamic ratings can be  
23 implemented and benefit consumers.

24           As you heard yesterday from CAL ISO, this  
25 additional question recognizes that organized markets

1 routinely adjust and report ratings not based on the actual  
2 physical capacity however its measured, but instead based on  
3 the needs of the financial markets that they host.

4           These market models very often depart  
5 significantly from the physical reality that the ambient  
6 adjusted and dynamic ratings seek to capture with ever  
7 increasing accuracy. And of greatest concern, unlike  
8 physical measure of circuit ratings, these market models too  
9 often are completely opaque to all but a few of incumbent  
10 market participants.

11           Indeed, in a recent proceeding before this  
12 Commission in which I testified, representatives from four  
13 major transmission-owning utilities testified that they do  
14 not even verify the static facility ratings that they  
15 under oath report to the Commission.

16           The slide behind you that I'm showing, it's a  
17 very large PDF. I'm not going to go through it, but it's on  
18 the file now for you. This is the chain of custody of the  
19 facility ratings to every manual in the tariff -- where it  
20 starts from, the static rating, and how it gets ingested in  
21 PJM at least.

22           The question before us -- at least one of them  
23 today is what responsibilities, if any, should the RSO,  
24 excuse me RTOs and ISOs have with regard to any verification  
25 of values provided by the transmission owners, and how



1 should any disputes regarding those disagreements of values  
2 between the transmission owner and the ISOs be resolved?

3           The combined transmission owner operator's  
4 agreement, as shown here has an express requirement that  
5 both PJM and all of the ISOs routinely monitor, review and  
6 verify the facility ratings not less than twice a year.

7           Yesterday, NERC told us that they were aware that  
8 the facility ratings from the transmission owners were not  
9 being checked. I'm sorry, my goodness, we're worried about  
10 dynamic ratings. Changing the ratings -- this is a more  
11 temporal update of what should have already been accurate.

12

13           The threshold question is whether circuit ratings  
14 should be set for any purpose to fulfill the financial needs  
15 of certain market participants as opposed to reflecting  
16 accurately the physical reality of the circuits. Should  
17 circuit ratings be changed to support financial transmission  
18 rights, or alter clearing prices in the day ahead markets?  
19 I think not.

20           What purposes, if any, weren't use of market  
21 models as opposed to physical measures? I urge the  
22 Commission to delve deeply into this question. If market  
23 models are used for any purpose to change physical measures  
24 of real capacity on existing circuits, then how can this  
25 Commission ensure that the models are transparently known,

1 and easy for market participants to replicate?

2           Let me conclude with this hopeful recommendation  
3 and a caution. Yes, ambient adjusted and dynamic circuit  
4 ratings hold great promise to improve grid operations and  
5 inform smart investment decisions. But just as market  
6 models currently distort static ratings, much, if not all,  
7 of the promise of rating innovations, those that we are  
8 discussing, will not be realized if they continue to be  
9 compromised by market models run and implemented behind  
10 closed doors, thank you.

11           MR. KOLKMANN: Thank you, we'll next turn to Sean  
12 Morash, form EnerNex.

13           MR. MORASH: Hello and thank you. I'm Sean  
14 Morash, a Smart Grid Engineering Consultant with EnerNex.  
15 And my primary focus over the last few years has been on the  
16 distribution side, particularly in smart grid architectures  
17 and strategies focusing on the integration of new  
18 technologies into the grid.

19           The distribution system in the U.S. has long  
20 lagged the transmission system in terms of situational  
21 awareness and, generally, technology. However, the same  
22 lessons that are being learned at the distribution level  
23 today, in terms of affecting change across siloes of an  
24 organization or across different organizations, can be  
25 applied to this discussion on DLR.

1           And there are two primary considerations that I  
2 continuously find myself revisiting when contemplating the  
3 future of dynamic line ratings.

4           Number one -- these are solved technical  
5 problems. We are not all experts in all of these. I am  
6 certainly not, yet. And we heard yesterday from a number of  
7 experts in certain areas of these, but IEEE 738 shows us how  
8 to rate a line, NERC CIP tells us how to protect assets from  
9 cyberattacks, ICCP and DNP3 and other interoperability  
10 standards help us to coordinate between systems and  
11 organizations, and there is a host of telecommunications and  
12 internet standards which could facilitate data transport  
13 from the field to the control room.

14           Number two -- stepping forward is better than  
15 standing still. Often with these new technologies, the  
16 promise of potential can stunt growth. The promise of  
17 potential allows us to consider multiple use cases and stack  
18 values and unlock all these possibilities. And quickly,  
19 dynamic line rating can become a tool for everyone in the  
20 decision-making world, whether that's the operational system  
21 optimizing its state estimator, human operations looking for  
22 improved situational awareness, or maybe its planners  
23 looking for asset health monitoring or attempting to utilize  
24 dynamic ratings for wind plant interconnection studies.

25           Ultimately, for a lot of us and some of here at

1 FERC today, we try to do all these things at once. And  
2 we've become paralyzed by that potential. Engineers, myself  
3 included, can start to brain dump and provide every  
4 possibility instead of focusing on just one, first  
5 capability.

6 So, our focus today should be on taking that  
7 first step -- identifying where dynamic line ratings and  
8 ambient adjusted ratings could provide value today. Let's  
9 worry about all that future stuff in a future session.

10 So, what do we need for dynamic line rating  
11 streams today? Well it varies, and ultimately it comes down  
12 to economics and incentives. Are the incentives set up  
13 right? Is there a good way to model the impact of dynamic  
14 line ratings, keeping in mind what I see as the primary use,  
15 which is not to defer traditional transmission expansion,  
16 but to empower decision-makers with more informed  
17 information about the behavior of the system?

18 I think this panel is intended to focus on the  
19 practical considerations of achieving just that. Maybe it's  
20 my job to focus this panel on that. Regardless, staff has  
21 prepared some questions and I would be remiss if I failed to  
22 address one of them.

23 The concept of coordinating across RTOs and ISOs  
24 seems is an important one. It teases to the broader  
25 question of providing the appropriate incentive mechanisms

1 for DLR. If a DLR system is successful on its target line,  
2 merely to cause congestion elsewhere, then the net impact  
3 should be assessed.

4           The problem is that the net impact is difficult  
5 to assess without these large interconnection studies. So,  
6 a lot of this could fall back to capacity expansion planning  
7 mechanisms, but with a standardized tool kit on how to model  
8 a dynamically rated line. One actor's assumptions on the  
9 capabilities of a line or a system, should not differ from  
10 another's.

11           Another question posed to this panel is the  
12 question of transitioning from ambient adjusted to  
13 dynamically rated lines. I propose another step to fit  
14 neatly between the two, which is to incorporate wind. Wind  
15 and ambient adjusted ratings, WAAR, would utilize air  
16 temperature readings just like ambient adjusted, but also  
17 aggregate wind data.

18           Again, leaps are not necessary, and we can take  
19 one step at a time to improve our current situation. Thank  
20 you. I look forward to hearing from the other speakers and  
21 the discussion that follows.

22           MR. KOLKMANN: Thank you. And we will next turn  
23 to Mr. Wangen from GridSME and WIRAB.

24           MR. WANGEN: Alright, thank you. My name is  
25 Brett Wangen. I work for the Grid Subject Matter Experts,

1 as a consulting firm working with utilities and renewable  
2 resources around North America. Today I want to thank first  
3 the Commissioners and FERC staff for allowing me to be here  
4 and to participate.

5 I am speaking today on behalf of WIRAB, which is  
6 the Western Interconnection Regional Advisory Body. They're  
7 deeply involved in a lot of reliability aspects of the  
8 Western interconnection.

9 A little bit about my background and why they've  
10 asked me to participate. I have about 24 years working with  
11 utilities and utility technology. Today my comments are  
12 really embedded from the background that I have at working  
13 at WEC and Peak, DRC for the last 11 years. I recently left  
14 Peak and you might be familiar with Peak and it is going  
15 through a wind down and a new RC transition is occurring on  
16 the West.

17 So, my comments today are really focused on my  
18 Western interconnection experience with Peak. From an RC  
19 perspective in the west, TOs are definitely the ones that  
20 are responsible for determining the facilities ratings and  
21 communicating those ratings and ensuring the accuracy of  
22 those ratings.

23 You'll hear -- I think we heard yesterday, and  
24 you'll hear from me as well and I think from others that  
25 incentives are probably important to ensure that the data is



1 temperature adjusted, and they are provided essentially  
2 continuously. They're sent in via ICCP, either the rating  
3 itself is sent in ICCP, or a temperature value is sent in  
4 and then looked-up and I think you heard some of that  
5 discussion yesterday, very consistent across peak and some  
6 of the other RTOs that were here talking.

7           There really are no significant challenges from  
8 an RC perspective to implementing AARs and DLRs, the  
9 technology is there in the system, it's really more on the  
10 TOs and to provide infrastructure and provide the data to  
11 the RCs, or the RTOs or ISOs.

12           One thing that came up yesterday that I wanted to  
13 hit on yet, it is true that often times the RCs -- certainly  
14 it is the case for Peak, and I believe other RCs that maybe  
15 don't have some of these other functions, they don't always  
16 know what the limiting elements are of the facility rating.

17           They know that a rating has been provided and is  
18 associated with a certain facility in the model, but all of  
19 the details of what exactly -- what equipment is limiting on  
20 it might not be known. There are exceptions to that. I  
21 think you heard Mr. Subakti, from California ISO talk about  
22 their ISO footprint has that information.

23           And then in certain cases within the EMS you can  
24 configure what's known as a topology limited rating which  
25 basically means if you have a limiting circuit breaker, for



1 example, on a ream bus and that ream bus opens, you now have  
2 a new element, so if you preconfigure that -- and that is  
3 the case in some situations, not many, but that would be a  
4 known situation and to be modeled directly for automatic  
5 implementation by the applications.

6 In terms of the process typically that a RC might  
7 encounter in real-time operations and again, this was talked  
8 about yesterday, but I just want to reinforce this is all  
9 happening at Peak and in the West.

10 When an RC identifies a pre or post contingent  
11 exceedance of an SOR or facility rating, the first thing  
12 they're going to do is contact the TOP, validate the rating.  
13 If the rating is in fact, either incorrect, or there is  
14 another rating available, a higher limit, they can update  
15 the system's VMS to accommodate that higher rating.

16 Now, in the West in particular, all the RCs have  
17 in their SO methodologies, some language about what is  
18 appropriate. And so, you can't just take any rating. It's  
19 either 15 or 30 minutes, at least in the west, in terms of  
20 the rating time duration that can be used for that.

21 If it is a permanent change that needs to be made  
22 permanent through the model update process, if it's not  
23 permanent and it's due to some temporary condition or an  
24 ambient condition that needs to be made clear that that  
25 limit be changed back at some point, otherwise that could

1 result in some liability gaps of having the wrong rating.

2           Alright, I did want to hit on the need for  
3 coordination of facility ratings and certainly in the West,  
4 as I mentioned, there a lot of change with multiple RCs  
5 coming into play. In the West, we're unique. We have a new  
6 regional variance associated with VIRO 2-6 that comes into  
7 effect in the beginning of 2020, and that new variance  
8 requires the RCs to have a common modeling and monitoring  
9 methodology.

10           And in that methodology -- it's not complete yet,  
11 but it's pretty solid draft form, there are requirements for  
12 RCs to monitor across their boundaries and monitor into  
13 equipment that are impactful to them and that they impact,  
14 if you will.

15           And so, because of that, it's very critical that  
16 the same ratings are being utilized for monitoring purposes.  
17 So, if there are AARs or DLRs, then both RCs should have  
18 those capabilities to be able to receive those dynamic  
19 ratings.

20           If there is static and there are changes for  
21 whatever reason, whether it be a seasonal change is  
22 occurring, or just identifying correct ratings, those will  
23 need to be coordinated very carefully.

24           Alright, in terms of what we see as next steps --  
25 WIRAB believes in having improved dynamic line ratings will

1 lead directly to improvements in reliability. And the call  
2 to action or the ask, if you will here, WIRAB believes that  
3 it is important to take incremental next steps to move in  
4 the direction of further AAR and DLR implementation and  
5 adoption in the West.

6 WIRAB urges FERC to direct NERC in the regions,  
7 WEC specifically, to coordinate with TOs, TOPs, ISOs, and  
8 RCs to perform reliability assessments in 2020. Evaluating  
9 the reliability benefits barriers and direct cost  
10 implementing AAR and DLR processes in real-time operations  
11 to improve reliability.

12 WIRAB further encourages Western RCs and ISOs to  
13 consider some sort of fee structure, whether it be discounts  
14 due to reliability improvements through improved data,  
15 perhaps penalties but some other available options to  
16 provide the incentive, I think that's the key thing here is  
17 incentive for the adoption of AARs and DLRs in the Western  
18 interconnection. This concludes my remarks for today, thank  
19 you.

20 MR. KOLKMANN: Thank you. We will next turn to  
21 J.T. Smith from MISO.

22 MR. SMITH: Thank you, I appreciate the  
23 opportunity to speak with you all today. My name is J.T.  
24 Smith. I am the Director of Operations Planning at MISO.  
25 I've been at MISO for 14 years, but the majority of that

1 time has been in our planning environment.

2 I heard a lot of comments yesterday and today  
3 that really make my comments not very new. My IMM and my  
4 TOs, we've already been up here and some of my peers across  
5 the RTO environment spoke many of the same things that I was  
6 going to talk about and will at least highlight a couple of  
7 comments here.

8 First and foremost, MISO provides the platform  
9 for ratings to come into the system, whether it be seasonal  
10 or more dynamic in nature. We actually have four  
11 methodologies that are automatically populated into our  
12 systems from a seasonal basis that happen a couple of times  
13 a year.

14 We have a system that allows, I think like PJM's  
15 and some of the others that we talked about or caught where  
16 we have ratings tables or temperature tables, that we get  
17 the temperature provided to us through our inter-control  
18 room communication protocol, ICCP.

19 We also receive rating changes directly via the  
20 ICCP process. And then finally, we also take rating  
21 adjustments through flat files. So, we've created four  
22 platforms effectively for delivery of ratings within our  
23 system. At this point, only about 7% of all line segments  
24 within the MISO footprint actually have some type of  
25 dynamic rating. The other 93% are generally seasonal.

1           We recognize there are benefits associated with  
2 having more dynamic rating structure. There is the --  
3 obviously, the market efficiencies associated with  
4 congestion management, but there's also the situational  
5 awareness from reliability management as well.

6           It's important to understand what the  
7 capabilities are on the system, whether it be there's more  
8 capability or less capability than what is represented in  
9 the seasonal ratings. Our systems can handle the inputs in  
10 the real-time environment. And like I said, we do it today.  
11 It is automatic. We also do as mentioned previously,  
12 yesterday as well as today, we -- if we run into situations  
13 where our operators are seeing congestion or reliability  
14 issues on the system, those phone calls do happen as well to  
15 verify and check that the ratings that are being  
16 constrained potentially are correct, or if there is an  
17 opportunity for them to increase to help us get through some  
18 tight time periods.

19           Going forward we would -- we believe that the  
20 capability is within MISO. Now, obviously any system that's  
21 not been fully stressed from a technical capability, if we  
22 start seeing increase in volume, increase in frequency of  
23 the ratings, we may see some issues pop up, but as of right  
24 now the 7% use has not stressed those systems in the  
25 real-time environment.

1           Do we need 10 minute data, 15 minute data, hourly  
2 data, day by day? I think that's going to just depend on  
3 what is going to be useful for the operators in making sure  
4 that they can operate the system reliably with a predictable  
5 outcome in mind.

6           Our day ahead market environment may be not quite  
7 as robust as our real-time right now. We are currently  
8 going through some investments for our market systems that  
9 as they come up to speed, our day ahead environment should  
10 be more robust to be able to handle as we talk about dynamic  
11 line ratings in a forecasting nature. And with that, that  
12 concludes my comments.

13           MR. KOLKMANN: Thank you. We'll next turn to  
14 Aaron Markham from NYISO.

15           MR. MARKHAM: Good morning. My name is Aaron  
16 Markham. I'm the Director of Grid Operations at the NYISO,  
17 so I have the real-time control room operations as well as  
18 operator training reporting to me. And I appreciate the  
19 opportunity to speak on line ratings in front of you all  
20 today.

21           So, as an initial point of information, the  
22 NYISO, as many of the ISOs and RTOs, does not actually own  
23 any transmission equipment, so we rely on the transmission  
24 owners as the asset to owners to actually provide us  
25 ratings.

1           Our current methodology is that we have seasonal  
2 ratings, so we have a summer rating set which is in effect  
3 from May 1st through the end of October, and a winter rating  
4 set which is in effect from November 1st through the end of  
5 April.

6           All of the transmission owners provide us all the  
7 appropriate limiting equipment and components of the rating  
8 and from a seasonal perspective, the ISO comes up with what  
9 the most limiting equipment rating is for the facility and  
10 publishes that out to all the transmission owners. We do  
11 coordinate that.

12           Once we have the seasonal ratings, we use those  
13 in all of our forward markets. So, our transmission  
14 congestion contracts, our FTR markets, uses the seasonal  
15 rating set. Our day ahead markets use the seasonal rating  
16 set, and then in real-time we do have the ability to accept  
17 dynamic line ratings and ambient adjusted ratings through  
18 ICCP, the inter-control center communication protocol, I'll  
19 try not to use acronyms.

20           It's a long one. So, typically in New York,  
21 those dynamic line ratings or ambient adjusted ratings are  
22 an increase from the seasonal rating, so that frees up  
23 additional capability in real-time, both for the EMS  
24 contingency analysis assessments, as well as for the  
25 real-time markets to utilize.

1           So, from a transparency perspective the NYISO  
2 does publish the season rating sets as part of our operating  
3 studies, so they are available to all interested parties and  
4 we also on a limited basis, based on need, do provide what  
5 rating sets we do secure to.

6           So, from a post-contingency perspective, whether  
7 that's the 15 minute rating or the 4 minutes or the 4 hour  
8 rating -- excuse me. We do not differentiate between  
9 ambient adjusted and dynamic line ratings in real-time.  
10 Typically, dynamic line ratings in New York are implemented  
11 on the underground cable system, which is a majority of the  
12 facilities in the New York City/Long Island area.

13           And generally, ambient adjusted ratings are  
14 applied to the overhead ratings, if you want to get  
15 specific. So, the one last point I would like to make is  
16 we think that the ability to provide additional capability  
17 in real-time sets us up very good from our liability  
18 perspective. We get our forward markets, a bit  
19 conservative -- our day ahead market comes out with a  
20 reliable operating plan based on those seasonal ratings, and  
21 then if there is additional capability in real-time, we do  
22 utilize it.

23           So, we do have some concerns over putting in more  
24 dynamic and/or ambient adjusted ratings in the day ahead  
25 market, and that, you know, from a New York perspective,



1 load is very correlated to temperature in New York, so we  
2 want to make sure we get a secure day ahead commitment with  
3 a more conservative rating set.

4 So, I believe those are the opening comments I  
5 wanted to make. Once again, thank you for allowing me to  
6 participate today.

7 MR. KOLKMANN: Thank you. And we will now turn  
8 to Garrett Crowson from SPP.

9 MR. CROWSON: Yes, good morning. I want to thank  
10 FERC staff and the Commissioners for allowing us and  
11 inviting us to participate in this panel. Like mentioned,  
12 my name is Garrett Crowson. I've been working for Southwest  
13 Power Pool for 8 years and I have a -- I think I pressed the  
14 wrong button -- there we go I got it.

15 So, I have a presentation to go through, kind of  
16 some intros about myself, Southwest Power Pool and then what  
17 we've done for the ability to receive ratings -- real-time  
18 ratings in real-time. So, a little bit about myself, I've  
19 been working for SPP for a little over 8 years now. I spent  
20 a portion of that in market forensics analysis working on  
21 the market clearing engine, mostly for the integrated  
22 marketplace.

23 I've recently transitioned to a Senior Operations  
24 Engineer in Operations Engineering Analysis with a lot of  
25 focus on real-time analysis and new tool deployment to the

1 floor and various aspects of that. Where I really tie into  
2 this panel is, I led an effort to implement STPs. We've  
3 called it DLR enhancement, but it's really the ability to  
4 receive real-time ratings. So, I led that effort which just  
5 went live in March 2019.

6 A little bit about SPP here, we're pretty  
7 well-known at this point. I mean we've been operating for  
8 over 75 years. I'm not going to read through these bullets,  
9 but one of the main points in the second bullet that's a key  
10 word for us is "collaboration". So, a lot of SPP's  
11 importance is put around not necessarily, you know, what  
12 we're doing, but how we do it and how we collaborate with  
13 our membership, so it's a big point for us.

14 So, our SPP DLR AAP real-time rating, you will  
15 see TAR up there as we call it TAR, a lot of acronyms there,  
16 but really this initiative was kicked-off back in 2017 and  
17 it was really they look at a high level possible benefit of  
18 doing some sort of dynamic rating, temperature adjusted  
19 rating.

20 We carried those evaluations out and presented it  
21 through our stakeholder process to various groups. At that  
22 point the scope was refined to what the need really was for  
23 SPP. And that was figured out that we needed to be able to  
24 receive these ratings, however the transmission owner  
25 decided to calculate such, so we refined the scope down to

1 that and it ended up getting endorsed to do by our  
2 operations reliability working group, which is mostly made  
3 up of transmission owners.

4           So, once that was endorsed, we kicked off the  
5 project and we just got that enhancement to SPP systems in  
6 2019 of March.

7           So, I'm being real brief, but I look forward to  
8 the Q&A session, so but this is a little bit about SPP's  
9 enhancement that I led the effort on. Really a big point  
10 here is that we left the onus on how the rating is  
11 calculated whether it be DLR, AAR, on the transmission owner  
12 to be able to calculate that however they felt. They're  
13 assuming the risk. They will know how they want to  
14 calculate that rating.

15           What we've really set up is the ability to  
16 receive such through ICCP as you've heard mentioned, that is  
17 directly fed into our EMS for real-time power flow and  
18 contingency analysis. So, there was a few things that we  
19 wanted to make sure and I tried to quantify the questions  
20 that were submitted in a few bullets here to give an  
21 overview of what we're doing.

22           Those bullets down at the bottom are really -- we  
23 required that reasonability limits are submitted with the  
24 request to model such real-time rating, and that really uses  
25 an upper and lower bound. So, what that does is it

1 basically gets, you know, the TO to sign-off on this is my  
2 upper and lower bound, and that's really to get rid of  
3 possible erroneous data or anything that they've agreed upon  
4 that shouldn't be use.

5           So, that's submitting on the modeling process  
6 also, and agreed upon. We also have similar stale and bad  
7 quality logic to our state estimator, I mean to our SCATA  
8 megawatt inputs to the EMS. So, if such rating coming  
9 through ICCP goes bad quality or is stale for a certain  
10 amount of time, we actually revert back to the seasonal  
11 rating which they are also submitting to us, so that was  
12 kind of a couple of logic enhancements that we put in place  
13 to make sure there was no discrepancies between what we  
14 used.

15           And then jointly-owned assets, they have to of  
16 course, have approval on reasonability limits, seasonal  
17 limits and their quest to model any kind of real-time rating  
18 by all asset owners. All of these, you know, bullets, as  
19 far as collaboration is a big point that I brought up.

20           They were all vetted and took through stakeholder  
21 working groups, so this was agreed upon as the logic we  
22 would use. So, that was a big point for us. And like I  
23 said, I look forward to the Q&A session. I know I was  
24 brief, but I hope I gave a good overview to what SPP is  
25 doing with real-time ratings, thank you.

1           MR. KOLKMANN: Thank you. I'll kick us off with  
2 a question that was inspired by one of Mr. Smith's comments  
3 and its related to possible needs for potential software  
4 updates in the day ahead market. You mentioned that that  
5 was occurring for MISO to essentially be able to accept DLRs  
6 in the day ahead markets.

7           Can you elaborate on that? And do other RTOs or  
8 other people know of similar concerns in other areas?

9           MR. SMITH: So, yes, directly for ours I know, as  
10 I got into this DLR understanding where information was  
11 going and how we were accepting, it has come to my  
12 understanding that our day ahead systems, we don't have  
13 good, solid processes into bringing those dynamic ratings  
14 into in a forecasted nature.

15           It depends a lot on the historic ratings and the  
16 understanding of what exists out there today, that gets  
17 pulled forward into the day ahead environment. So, getting  
18 the automatic or forecasted, is not within the system  
19 capabilities right now, but we are going through a  
20 significant investment profile in regard to our market  
21 systems.

22           And as part of that investment, our systems and  
23 we'll be able to develop processes around it to better  
24 accommodate if that is the desire to go forward with. So,  
25 it's the forward market's component or the market's

1 component of it is where the difficulty is right now for us.

2 MR. KOLKMANN: Got it, Mr. Crowson?

3 MR. CROWSON: Yes, so as far as STP goes, day  
4 ahead market -- these ratings aren't fed into day ahead  
5 market at this time. I think we're on a similar level that  
6 this would take an enhancement at that point. I think the  
7 biggest deal that's been brought up through several panels  
8 is the forecast, so the ability to forecast these ratings  
9 and be accurate enough to use in the day ahead market is a  
10 big point that is keeping us maybe from jumping on that.

11 I would like to mention that you know, we have  
12 the holistic integrated tariff team that was formed, and  
13 they've been looking at several of these things. There is  
14 an effort to do a deeper dive into dynamic line ratings and  
15 the benefits, and this might help prove the benefit to be  
16 able to push such enhancements that they had, thank you.

17 MR. KOLKMANN: Mr. Markham?

18 MR. MARKHAM: Mic difficulties, sorry. So, yes,  
19 as I said before we do currently use this seasonal rating  
20 set in our day ahead market. We do not have the ability to  
21 increase those ratings in the day ahead for the concerns I  
22 outlined.

23 But we will if there is a topology configuration  
24 that results in a lower equipment rating such as a breaker  
25 out at a station, we do have the ability through process to

1 reflect that lower rating of the day ahead market, so we get  
2 a reliable commitment.

3 MR. KOLKMANN: Okay, anyone else want to touch  
4 that? That's fine. I'm following-up on the day ahead  
5 points, we essentially, there's a wonder if DLRs and AARs  
6 need to be consistently applied across day ahead and  
7 real-time markets knowing, recognizing the challenges that  
8 we just spoke of logistically.

9 It seems like there would be a lot of benefits  
10 and a lot of challenges to applying it to the day ahead  
11 market, but we've also spoken a lot about forecasting  
12 yesterday. I wonder if panelists could give their view on  
13 that. I know that I think Mr. Markam spoke about some  
14 market challenges applying to -- regarding uplift.

15 But it also seems like that's already a risk with  
16 regard to load forecasting already, so if panelists could  
17 provide their view on that, that would be helpful. Mr.  
18 Rousselle?

19 MR. ROUSSELLE: It's interesting. Perhaps a  
20 different test and that is I'm an applied technology guy  
21 than developing real-time rating solutions before my current  
22 firm. I think what we're seeing is the advent of great new  
23 information and we're asking the question about how to  
24 integrate it with the system that was designed not to have  
25 it.

1           It didn't exist before. We're seeing a clash.  
2 You know, should we do it? I think we have to have the data  
3 and after we have it, you'll have a better opportunity to  
4 steer. The markets are using ratings in a way to solve in  
5 some cases, for financial transactions which will almost  
6 have nothing to do with the physical rating in the system.

7           And we're talking about what do we do with the  
8 actual physical real data and should we insert it over here?  
9 I think the question really is, aren't we seeing the clash  
10 of an old structured system with great new advanced  
11 technologies? And how do we manage that change?

12           MR. KOHKMANN: Mr. Wangen?

13           MR. WANGEN: So, obviously, I don't speak from a  
14 -- but I certainly can speak from a data perspective, and I  
15 think I tend to agree that this is new technology that --  
16 and I'd be curious if New York ISO, you know, has plans to  
17 move forward. But to me, from my experience with Peak and  
18 the Western interconnection, half the battle is getting --  
19 is evaluating your data and your data quality and having  
20 metrics in place and regular reviews and assessments to  
21 ensure that you're getting quality information.

22           So, I guess I would just encourage that there be  
23 processes in place to do that so that at some point, these  
24 can be implemented in day ahead markets. Because I hear the  
25 desire to be conservative, but I think, especially from our



1 experience in the West, that's the way the West has been for  
2 years has been overly conservative, and we're just trying to  
3 now, get to a point where we're not overly conservative, but  
4 yet we're very reliable.

5 I think that's a border that you can get across  
6 once you have confidence in the data that you're using your  
7 tools.

8 MR. KOLKMANN: That makes sense, Mr. Markham?

9 MR. MARKHAM: So, yes, I want to speak a little  
10 bit on the uplift potential concern that we have at the New  
11 York ISO. The way our market is structured, any change in  
12 transmission topology essentially transfer capability from  
13 the day ahead to the real-time shows up in an uplift bucket,  
14 we call balancing market congestion residual.

15 So, to the extent that there's less transmission  
16 capability available in real-time that balancing market  
17 congestion residual gets generated and then gets socialized  
18 out across our loads. That is a bit different from a load  
19 forecast error. So, if a load forecast error arises, either  
20 at the ISO or at the load serving entities that bid load,  
21 that actually -- that difference and that different  
22 settlement between the day ahead and real-time market, gets  
23 charged directly to the load that was short.

24 So, there's a little bit more direct correlation,  
25 or there's a lot more direct correlation on the load if they

1 miss the day ahead forecast versus if we -- I'll say, miss  
2 the transmission topology, transmission capability that's  
3 available in the day ahead. So, that's kind of the  
4 differences.

5 MR. KOLKMANN: Okay, Commissioner Glick, do you  
6 have any questions?

7 COMMISSIONER GLICK: Thank you. Just two --  
8 hopefully quick questions, one of which is you know, I know  
9 that we're talking a lot about DLR and AAR in terms of  
10 real-time markets and as you mentioned the day ahead  
11 markets, but I was wondering if you could comment, if anyone  
12 wanted to comment with regard to the interconnection  
13 process, especially in areas where it's pretty windy.

14 I think it can certainly have, it seems to me,  
15 you're going to add some extra capacity not having to build  
16 additional or spend a lot of money on additional upgrades.  
17 Does anyone have any experience with that or thought about  
18 that?

19 MR. SMITH: I feel like I should make a comment  
20 since I spent so much time in the planning environment. I  
21 don't know if that's a good thing or not. It's difficult to  
22 think about a long-term transmission planning thought  
23 process and throw dynamic ratings into that conversation.

24 The build that is identified from a transmission  
25 planning perspective is occurring at the worst peak

1 condition assumptions that exist out there. So, if I'm  
2 already assuming a peak load generation injection as well as  
3 peak load most likely being driven by peak temperatures, it  
4 would be hard to understand, or be able to figure out what  
5 is the right transmission rating that you would need to use  
6 in those hours that is different from your standard  
7 calculation, 104 degree environment.

8           Now, when you're talking about renewables, wind  
9 resources in that regard, yes, their production is generally  
10 not sitting on the peak, and there's capabilities that do  
11 exist out there, but most of those resources aren't coming  
12 in as firm capacity either, they're coming in as energy  
13 resources and are subject to the capability of the system.

14           And then the system in the real-time might  
15 actually see more benefit in operating around their  
16 production in those off-peak hours, but from a planning  
17 perspective, I think it would be a really hard sell to try  
18 to figure out how to change those ratings in those  
19 transmission lines when you're talking 3, 5, 10 years out  
20 in that evaluation.

21           CHAIRMAN GLICK: Anybody else?

22           MR. ROUSSELLE: One interesting opportunity New  
23 York is great at is the entrepreneurs. If the merchant  
24 developers had access to the information in the universe  
25 which was very hard for the ISOs to at once leverage, they

1 would be able to learn, invest their own capital at risk,  
2 become a stakeholders, go to the ISO stakeholder meetings  
3 and advocate for the change through the ISOs process.

4 But without the data, we can't find ways to help.  
5 And without accurate data, we absolutely can't help. So, I  
6 think data is the key. More data is better.

7 MR. MORASH: My kind of comment on it was when  
8 EnerNex helps a lot of wind developers with their power  
9 system modeling, and a lot of what that winds up being is  
10 fixing other people's models when it doesn't match reality.

11 And one of the projects that we had, the CAT bank  
12 was causing some harmonics issues and the model was  
13 incorrect. And it turns out that they had actually  
14 dynamically rated that CAT bank because it was up on a hill  
15 and it was exposed to wind.

16 And so, it wasn't a formalized process, right?  
17 This was just an engineer who had kind of underbuilt his CAT  
18 bank because he knew the wind in that area. And so, you can  
19 argue whether that's ideal or not, but it kind of slipped  
20 in, and it was an older type of you know, situation. It was  
21 an older wind plant.

22 And so, formalizing all this and you know, is  
23 kind of the process that had already been occurring where we  
24 relied on engineers to use their engineering judgment, so  
25 that's my point, thank you.

1           MR. WANGEN: Just real briefly, so my company,  
2 GridSME does a lot of interconnection support with  
3 renewables, both wind and solar. And just more of an  
4 observation, I think similar to what Sean was just  
5 describing, we see that it's very undefined.

6           No one is talking about dynamic ratings in terms  
7 of how do they reduce network upgrade costs, how do they  
8 better integrate their resources? This is not something  
9 that I've heard at all to take back to the company whether  
10 anyone else has heard.

11           And I've even had some dialogue with not just the  
12 customers trying to interconnect, but those -- the systems  
13 that they're interconnecting with, and they're also  
14 struggling with what are the best practices. So, it seems  
15 like this is really just the start of that discussion.

16           So, you know, I personally tend to agree that  
17 maybe there's not a place for dynamic ratings in that  
18 interconnection process, but I think that should be worked  
19 out further.

20           MR. SMITH: If you don't mind, I just want to  
21 make one more comment. Right now, especially when it comes  
22 to the interconnection ques that are sitting, I can  
23 specifically speak of MISOs. We're not talking about 100  
24 megawatts here, 100 megawatts there where dynamic line  
25 ratings might be more useful, or potentially could.

1           In fact, we're talking about thousands of  
2 megawatts injecting in the similar areas that is a 10%  
3 increase in your transmission capabilities is not going to  
4 meet those needs. We're not talking on the fringes yet,  
5 we're still bulk injection of mass amounts of megawatts into  
6 our systems right now that dynamic line ratings -- maybe  
7 that conversation could be more fruitful if we started to  
8 get to the fringes in that conversation. It's a good thing  
9 that water's been empty, I've dumped it twice now.

10           So, I would argue that -- and it's really not  
11 even been in my thought processes, because we're not talking  
12 about 100 megawatts, we're talking about 10,000 megawatts at  
13 this time.

14           COMMISSIONER GLICK: Sure, so if I can just --  
15 with something you just mentioned, but obviously you  
16 mentioned in your initial comments about concerns about the  
17 lack of transparency and lack of in some cases,  
18 verification.

19           Is there anything that FERC or NERC, for that  
20 matter should be doing, should be requiring to improve that  
21 process?

22           MR. ROUSSELLE: Yes, sir. As I understand it,  
23 the first thing that a system requires is a report by the  
24 transmission owners to FERC of their facility ratings within  
25 FERC Form 715. And as I understand it, the ISO, ingests

1 that. In fact, the transmission owners, by practice, give  
2 that to the ISO and the ISO bundles those together and gives  
3 FERC 715 to the Commission.

4 No one is checking the facility ratings on any  
5 regular basis that I'm aware of. I have spoken to the CEO  
6 of NERC. They don't do markets. When they audit, when I  
7 have asked about audits of facility ratings, the answers  
8 that I've heard are this -- FAC 008 requires a written  
9 methodology and the audit begins by asking the utility to  
10 share the written methodology.

11 The audit usually ends with the production of the  
12 written methodology. I have only seen one in 5 years of  
13 extensive study. One audit, only on one circuit and that  
14 circuit was chosen by the transmission owner to give to the  
15 auditor. No one is checking, and if there's anything that  
16 you can do, sir, immediately, someone must do the math.

17 This isn't a question of whether I or you like  
18 the methodology, that's the utility's choice. But somebody  
19 has got to check the math, sir.

20 COMMISSIONER GLICK: Thank you, anyone else want  
21 to comment on that?

22 MR. KOLKMANN: Okay, thank you. So, building  
23 off that point, and thank you for your question Commissioner  
24 Glick, what role -- are there roles for -- are there any  
25 roles for the RTO in this process? I know Mr. Crowson spoke

1 pretty coherently about the upper and lower bounds. Is that  
2 something that at the very least makes sense?

3           There, you also mentioned about the possibility  
4 of reverting back to static ratings, to the extent you can  
5 elaborate on that, that'd be helpful as well.

6           MR. CROWSON: Yes, absolutely. Yes, so those  
7 logic processes were thought about when we were doing this  
8 enhancement. Basically, we still and you know, to answer  
9 comments, we still take, you know, the ratings that are  
10 submitted to us, but we basically request that upper and  
11 lower bound, along with a seasonal static rating.

12           So, once a DLR is what we call it, however that  
13 real-time rating is being modeled with us, it's required to  
14 check on, you know, check-off on those upper and lower  
15 bounds and the logic that we presented to our stakeholder  
16 group of how we'll revert back to that static rating.

17           So, what we're really trying to get ahead of  
18 there is any sort of you know, erroneous data where, you  
19 know, we might feel like SPP would be held accountable.  
20 Basically, we can get everything checked-off on and say this  
21 is the agreement on how we're going to use y our rating, but  
22 those ratings still are submitted to us and then the  
23 FAC-008, as mentioned, is the actual requirement submitted  
24 to NERC for that methodology, so.

25           MR. WANGEN: Yeah, from a Western integration



1 perspective, and I would bet that all the RTO, RC guys, the  
2 type of folks around the table here probably have processes  
3 in place as well to validate -- not necessarily an active  
4 process to validate on a regular basis that the facility  
5 ratings are accurate. The process is to push back out their  
6 models, all of the data, the facility ratings.

7           One line diagrams probably even an electronic  
8 method to get into their system to review state estimated  
9 results in some of the advanced applications. So, I think  
10 that the RSOs, RTOs and RCs are definitely providing the  
11 ability to do those types of verifications. Just to my  
12 understanding, and certainly from a Peak perspective, they  
13 -- those things, those actively weren't being done because  
14 they weren't the source of the ratings themselves.

15           MR. ROUSSELL: If I may, following-up on those  
16 two things, perhaps enforcing the rules we have, allowing  
17 NERC expanding their mandate to require perhaps even a broad  
18 system-wide in the immediate evaluation of every bulk  
19 electric transmission circuits facility rating would be  
20 helpful.

21           And in that regard, if there's any question about  
22 what the facility ratings are, should we put a dynamic  
23 rating cuff? If you put a blood pressure cuff on every  
24 transmission circuit, which I advocate, unequivocally,  
25 undeniably, there would be no doubt what the rating was,

1 what it was last week, last year.

2 I'm not talking about forecasting, it's just a  
3 fact. What is it? What was it? There will be no missing  
4 what the facts  
5 are and that will be transparent to you at least. I'm a big  
6 advocate for immediate undeniable access and a review of the  
7 entire nation's bulk electric systems facility rating  
8 accuracy, sir.

9 MR. KOLKMANN: Does anyone else want to touch  
10 that? Going once -- so, following-up, your point about  
11 dynamic line ratings, I'm curious to know more about some of  
12 the reliability and security of the communication that's  
13 needed -- the availability, confidentiality, to what extents  
14 do NERC reliability and critical infrastructure protection  
15 standards apply to ensure that the data and system  
16 availability confidentiality exists, particularly when  
17 you're communicating? Can you speak more about that  
18 difficulty -- that challenge, particularly from the point of  
19 sensor to the point of aggregation essentially?

20 MR. MORASH: Yeah, so I mean it applies, right,  
21 if they're making a real-time decision that it was  
22 dynamically changing from field assets the NERC CIP applies  
23 and you have to make the appropriate -- you have to follow  
24 the rules, right?

25 But that shouldn't be a problem. Other people

1 follow the rules and do that type of thing all the time, and  
2 so I think that that distracts from the broader question of  
3 some of what Mr. Rousselle was talking about, but also  
4 creating the right incentives to make sure the transmission  
5 owners and the RTOs and ISOs are communicating, just in  
6 general.

7           And who's responsible for what. It shouldn't get  
8 hung up on the cyber components, because that will figure  
9 out. The rules are in place, people do it. The vendors  
10 have cyber full-time staff, right? And so, let's worry more  
11 about the interaction between the transmission owners and  
12 the RTOs from an incentive perspective.

13           MR. GILDEA: Yeah, I just -- following-up  
14 here on the Commissioner's as well as Dillon's and kind of  
15 just following pulling that thread a little bit on the need  
16 of the -- what I'll call improvement to the FAC-008, which  
17 is essentially a call for method H transmission provider  
18 having methodology. And then what I've heard is we have a  
19 process among the RTOs here, that basically they go back and  
20 have a process for confirming that.

21           But what we need really is a kind of a stand down  
22 fact check on the raw underlying data that goes in, and then  
23 you have essentially your iterative process already built in  
24 what I'm hearing. It's just a matter of an initial check on  
25 the quality of what we have kind of find -- making sure it's

1 very accurate and then going forward as we work and  
2 fine-tune these seasonal and dynamic line ratings, we're  
3 building off a base of factual understanding of a bit more  
4 accuracy of a build.

5           But we have the process of what I'm hearing from  
6 all of the RTOs, and kind of a confirmation on it. We have  
7 the process built in, but what we really need is a quality  
8 check on the underlying fundamentals and that's really not  
9 called for in the reliability standard, probably a lot of  
10 TOs have a stronger quality check internally than others,  
11 but we want to get confirmation that that quality is there  
12 and then get that up on a transparent platform.

13           Does that kind of bring around everything I've  
14 heard in the last 10 minutes? I want to make sure my  
15 understanding is --

16           MR. ROUSSELLE: I completely concur with you,  
17 sir.

18           MR. SMITH: I think though, and I'm going to ask  
19 my peers to correct me, but I believe we're not necessarily  
20 doing a quality check to the build up of what creates that  
21 rating. We're doing sanity checks to make sure that those  
22 ratings are not outside of what we would consider to be  
23 normal bounds for that, so we don't have that data  
24 internally to do that.

25           So, I just want to make sure that's clear is that

1 we're really doing sanity checks on the ratings that are  
2 being provided to us and not actually validating the ratings  
3 that are being produced.

4 MR. CORBETT: Okay, yeah, I'd like to revisit the  
5 wind issue for a wind facility. Could we agree that it  
6 would be reasonable that if a transmission owner models a  
7 wind unit in their model as producing that the sufficient  
8 amount of necessary wind for that unit to produce would be a  
9 reasonable wind assumption in rating the facilities  
10 associated with that energy resource?

11 MR. MARKHAM: For the NYISO and the geographic  
12 topology in New York, the wind plants generally in New York  
13 are up on the higher terrain, and the transmission lines  
14 typically run in the valleys. So, I'm not sure it's a safe  
15 assumption to say that the same wind that a wind resource is  
16 experiencing at hub height of a turbine is actually the same  
17 as you know, where that limiting transmission line may run  
18 either you know, to the valley or at the substation if it's  
19 a component in the substation that is what's limiting the  
20 output of the facility.

21 So, I think more detailed analysis would need to  
22 be done to at least look at -- I'll say the topology and the  
23 wind resource, or the wind profile along that transmission  
24 asset before we would want to use that assessment.

25 MR. CORBETT: And we hear that discussion quite

1 often for that question. However, when you site wind units,  
2 you are seeking out corridors which have a lot of wind to  
3 harvest. They are there for a reason. I'm not saying that  
4 there is a one to one ratio with regards to the hub wind  
5 volume versus the velocity in the valley, but there is shall  
6 we say, there is an additional wind volume in that whole  
7 vicinity that at least is beneficial to the wind unit, but  
8 also provides an opportunity for the transmission owner to  
9 model a certain amount of wind, taking the consideration  
10 when they're developing the ratings for those energy assets  
11 facilities.

12 MR. MORASH: So, I agree with you. The one, yes,  
13 the ISOs didn't -- the question that I would toss in there  
14 is the kind of growing trend in the industry where wind and  
15 solar resources are sited with batteries as well. And so,  
16 where you're looking at a situation where those plants have  
17 energy storage facilities that could potentially be  
18 producing when there's not the resource that the wind  
19 resource isn't there, that would need to be kind of  
20 considered as well.

21 I don't think it's a fundamentally different  
22 thing from what you're talking about, but just in the  
23 creation of that rule, it should be considered.

24 MR. WANGEN: I think part of the question is  
25 maybe just the system topology as well and how long the

1 lines are. I'm not familiar with New York's system. In the  
2 West, in particular, you'll have wind in Wyoming that's  
3 going to end up in California.

4           And in some of these transmission lines are  
5 extremely long and so, to try to equate an amount of wind at  
6 the source to a facility rating on that transmission line or  
7 segments of lines, would be difficult just because of the  
8 length of the lines.

9           MR. CICCORETTI: I just want to follow-up on Mr.  
10 Corbett's question, perhaps at least to Mr. Markham. You  
11 indicated that more analysis would need to be done before  
12 one could conclude that the wind that powers an  
13 interconnecting wind facility might also increase the  
14 ratings of a transmission line.

15           Could that analysis be done in the  
16 interconnections to V4 in that one facility?

17           MR. MARKHAM: So, as I stated in my opening  
18 remarks the asset owners in New York are actually the rating  
19 authority, so I think we would have to take that back to  
20 them to see if they could do that analysis and what you  
21 know, what data would be available at the you know, at the  
22 -- either through the path of the transmission, the  
23 limiting transmission element or the substations wherever  
24 that limiting component is to see if that's something that  
25 could be done through the interconnection process.

1           At least from a New York perspective, we do have  
2 a minimum interconnection standard for energy production, so  
3 as long as we can redispatch around, we will let the  
4 facility connect without additional transmission upgrades.  
5 For capacity deliverability it's a bit different, but if a  
6 wind resource wants to come in as energy only, as long as we  
7 can back other resources down and come up with a secure  
8 operating plan, we will not require them to do system  
9 upgrades.

10           MR. SMITH: And I just wanted to add is you know,  
11 when I think about my footprint in MISO, I don't believe the  
12 limiting facilities for the interconnection are right at the  
13 direct interconnection point generally. We usually, what  
14 we'll end up seeing is crossing the Mississippi Rivers,  
15 where the congestion is, which is 300 miles away from where  
16 those wind farms are generally connecting to.

17           So, what the issue and what the actual problem is  
18 may not matter what's going on at the site of the wind farms  
19 and those lines. Those lines may be robust if there's  
20 congestion further down the system that may be just a  
21 different animal that you're trying to tame there.

22           MR. CICCORETTI: Thank you, that's helpful.

23           MS. GADANI: I had a follow-up question -- I had  
24 a question that takes us away from the interconnection  
25 issue. Yesterday we heard from different entities about



1 there may be lines and there may be -- or, there may be  
2 facilities that can be prioritized in terms of what you --  
3 whether you decide to deploy DLR on it, notwithstanding  
4 though, we don't have data right now, but these RTOs, the  
5 RCs have some information. Is there an opportunity for the  
6 RTOs, RCs to work with the TOs to help identify turn  
7 facilities that should be candidates for new technologies --  
8 for dynamical line rating EEO technologies, we'll start with  
9 them, I guess?

10 MR. CROWSON: Yes, thank you. So, I think there  
11 -- we dealt with this at SFP a little bit on how at first it  
12 was with the evaluations of how you might want to quantify a  
13 high level benefit. We tend to focus on historical, you  
14 know, binding constraints in the market and things like that  
15 to where we could dig down and look and see if the you know,  
16 actual monitored element was the constraining element.

17 I think where it gets really difficult after that  
18 is, you know, diving down in this shifting of the  
19 congestion. How many N minus 1's SFP checks are used, a  
20 simultaneous feasibility test, do you want to run to see  
21 where the congestion basically moves to?

22 So, there were some high level assumptions at  
23 first. Looking at binding constraints that have been  
24 historical binding in the market and trying to quantify what  
25 would happen if we reduced those. There could be potential

1 there. That is how we actually worked with the transmission  
2 owner that is utilizing our enhancement.

3 We've looked at those constraints and  
4 communicated with them on potential benefit.

5 MR. MARKHAM: So, in New York, we're very similar  
6 to that. We do have an economic planning process which  
7 looks out, I believe, 10 years and does a forecast of  
8 congestion on the system and defines what we expect to be  
9 the most limiting elements as a starting point for their  
10 research into what could be done to mitigate those limiting  
11 constraints on the system.

12 In addition, we have had a fair amount of success  
13 working with the asset owners, looking at real-time  
14 congestion on the system and coming up with either small  
15 upgrades on the system that remove the limiting element,  
16 maybe that's a CT issue, or a wave trap issue.

17 We've had the ability to work with the  
18 transmission owners to get them to replace that limiting  
19 equipment to get it up to something that, you know, may be  
20 more costly to replace, like a conductor rating.

21 And we've also worked very hard to implement  
22 ambient adjusted ratings and dynamic line ratings on the  
23 facilities that are typically thermally limited in New York.  
24 So, we've had pretty good success in all those fronts.

25 MR. SMITH: And I'll just add-on, we have the

1 data. We have the understanding of what's going on in the  
2 systems. I think it's important to understand, you know,  
3 you may have one member decide to move towards more dynamic  
4 rating environment, and all they're doing is pushing to the  
5 next member down the line and understanding where that's at.

6 But we have the data that can support and as our  
7 members start to move in that direction, we can help direct  
8 them in the right areas where maybe the most efficiency can  
9 be gained from a market congestion perspective, or maybe  
10 where the most reliability concerns exist on the system.

11 It doesn't have to be just about the money, it  
12 can be about the reliability too, and giving them the ideas  
13 of where, if they don't want to fully push out, we have a  
14 lot of that knowledge of where we might get the best -- the  
15 biggest bang for our buck in that regard.

16 MR. ROUSSELLE: It's really good to hear the ISOs  
17 are really capable of assisting the transmission owners. In  
18 2010, the NERC alert came out and one of the things it  
19 recommended in largely almost every utility in the United  
20 States utilized, was the methodology to use PLS CAD, a  
21 software. The software manages 94% of every transmission  
22 line on earth.

23 This software can run a batch question in about  
24 12 minutes on 3,500 circuits -- that means the transmission  
25 owner, what I'm saying, has almost immediate access in the

1 third dimensional model, for every transmission circuit they  
2 own to find the limiting span, or the three limiting spans.

3           They could run iterations in a week that would  
4 integrate with the ISO, they have this data. All of that  
5 data underlies when the data was taken, the temperature,  
6 right? The facility rating is based on that information.  
7 You might want to have access to those files, the ratepayers  
8 pay for them.

9           MR. WANGEN: One other thought is you know, if  
10 the goal is to increase the use of AARs and DLRs, yeah, I  
11 think that the RCs, RTOs, and ISOs, can have a role in that,  
12 but an observation in the West is that you know, I mentioned  
13 there was about 9% of the facilities that are in Peaks  
14 network model, have those applied.

15           There's a lot more of them out there, but the  
16 TOPs, the TOs, tend not to use them or not to want to  
17 provide those, and they want to operate more conservatively.  
18 They want the operators to have that conversation, you know.  
19 I think that might be just a confidence in the data perhaps,  
20 but nonetheless, there might be a need to maybe incent the  
21 use of them if they already exist, and then take that next  
22 hurdle once that's done.

23           MR. KOLKMANN: Okay, I do want to point out that  
24 I didn't intent to pit the RTOs against the non-RTOs, it was  
25 just -- it just kind of happened by way of alphabetizing

1 companies. Just to be clear on that.

2 I've wanted -- Brett, you've mentioned in at  
3 least the written statement. I don't remember if you said  
4 it aloud, but you mentioned a 2015 study that you were  
5 involved with that WIRAB had sponsored regarding AARs -- a  
6 lot of things. I was hoping to follow-up on that and how  
7 AAR's might be implemented out West.

8 Your thoughts on that, obviously primarily on the  
9 bilateral context primarily. How this might fit in with ATC  
10 calculations, I'd be curious to hear more about that.

11 MR. WANGEN: Sure, yeah, so you're referencing a  
12 study that facilitated to evaluate what could be done to  
13 improve ATC available transmission, transmission capability  
14 calculations in the West. And there's a little bit of a  
15 history lesson here. The West, just a decade ago was  
16 extremely conservative. There was path system operating  
17 limits that maybe arguably weren't really system operating  
18 limits, and there was a whole paradigm shift that had to  
19 occur to separate out SOLs and TTCs and there's a lot of  
20 change that's occurred to try to get things to where I think  
21 anybody from the East would say is the norm, or anybody from  
22 ERCOT.

23 And so, that was just sort of a step in that  
24 evaluation was okay, now that we understand that SOLs, what  
25 they are and how to use them, how can we use real-time data

1 to improve, not just SOL calculations, but TTC and ATC  
2 calculations?

3           And so, I would see you know, in that particular  
4 study, dynamic ratings weren't specifically a component of  
5 that, but would absolutely be a nice component of it to add  
6 on to that. The concept simply is the better -- more  
7 accurate your data being, more real-time your data is, the  
8 better your calculations will be, just garbage in, garbage  
9 out, good data in, good data out, so, that's kind of the  
10 premise of the study.

11           MR. KOLKMANN: Thank you for that. I think that  
12 exhausts my questions. I did want to open this up to the  
13 audience and see if they wanted to ask the panelists  
14 anything. I'm going to sit here for at least a minute or  
15 two and see if anyone wants to think about that -- 30  
16 seconds. Sorry, first we'll ask, we have one more.

17           MR. CORBETT: Mr. Markham, you referred to your  
18 seasonal ratings as basically being divided across the  
19 entire year. And for the New York ISO in operating your  
20 system, there's definitely a difference between January the  
21 10th and April the 14th. So, how do you communicate --  
22 shall you say, rating changes where possibly in April you're  
23 far feeding your winter seasonal rating, and how do you see  
24 per -- or what would you recommend as possible  
25 communication improvements between the TOs and the RTOs

1 going forward if they were communicating more ambient  
2 adjusted or temperature adjusted ratings, so that they can  
3 communicate that to you as they make those changes?

4 MR. MARKHAM: So, yes, as I said, we do use two  
5 seasonal sets. There was a pretty extensive study that was  
6 done in the mid-'90's by the transmission owners in New York  
7 to look at ambient conditions in each month in New York  
8 State as well as you know, the other components of line  
9 ratings that are applicable, you know, wind conditions,  
10 solar radiance, and from that they chose rating temperature  
11 sets that were applicable for both summer and winter.

12 As you said, there is the -- you know, there is  
13 quite a bit of a difference between January 10th in a Polar  
14 Vortex, and April you know, mid-April when it can be, you  
15 know, 80 degrees. Right now, the dynamic line rating  
16 capability in real-time is what's used to communicate that  
17 difference, so if there's more capability available or less  
18 that gets provided to us. Typically, the seasonal ratings  
19 are in use for the season and we get increases from those as  
20 temperature conditions are cooler than ambient.

21 And once we get those via ICCP, we communicate  
22 those out to all the impacted TOs, all the neighboring  
23 areas, so that the full ratings and the rating of the  
24 facility is in use, is widely known.

25 MR. CROWSON: Yeah, I just wanted to add at SPP,

1 basically, we also have a pretty wide variety of footprint  
2 from north to south and what we've found is we offered also  
3 what we call shoulder ratings with the seasonal, so we have  
4 winter and summer.

5           The shoulder, or basically you know, your spring  
6 and fall ratings. So, we do offer that while some, you  
7 know, don't utilize those ratings. We offer like basically  
8 a four season change. I did want to kind of use this as a  
9 segue to address a question I heard coming up quite a bit in  
10 the other panelists.

11           SPP was actually you know, using this process as  
12 I've heard maybe a lot of other RTOs actually using it in  
13 real-time, manually communicated via the RC to the TO. That  
14 was one of the main drivers for our enhancement and why we  
15 got backing in that is we actually alleviated that process  
16 more automatically.

17           So, I heard that question come up quite a bit, so  
18 I wanted to segue into that how we basically improved our  
19 real-time feed of seasonal rating.

20           MR. GILDEA: I have just a quick, quick, question  
21 to Sean. You mentioned in your prepared comments toward the  
22 end, I just noted here, and I put a question mark because  
23 while we had the time, I thought I'd follow-up, about a  
24 transition that you suggest, maybe of AAR to DLR with just  
25 wind.



1           And so, I'm assuming that you're ignoring solar,  
2 can you expand on what you meant by that?

3           MR. MORASH: Yeah, so when you're doing line  
4 ratings, when you look at the calculation, the wind and the  
5 temperature impact, and there's a lot of wind forecasting  
6 that gets done, and you can -- within a 3 hour, you know,  
7 resolution, you're pretty confident in what's going to show  
8 up.

9           We can argue about that -- whether you're pretty  
10 confident or what if that's 50% or 70% or 95% or whatever it  
11 might be, but NOAA has put a lot of work into developing  
12 accurate real-time semi-real-time wind forecasts, and you  
13 know, this kind of transitioned from a seasonal adjustment  
14 to a dynamically, you know, rated line where you're  
15 measuring at the point.

16           There are steps in between, right? And so,  
17 whether that's taking only the temperature forecast or if  
18 you can include the wind forecast and wind -- what we think  
19 the wind is, I think that there's some steps that would not  
20 be as difficult as investing in transmission infrastructure  
21 that could be taken.

22           MR. KOLKMANN: Well, I offered the possibility  
23 for audience questions. Now, I would like -- oh, sorry --  
24 sorry Gary.

25           MR. CROWSON: Yeah, I think argue is the right

1 word. I don't want to talk too much about wind forecasting  
2 in this setting. We have a lot of wind. We do still see  
3 very high -- I don't want to say very high, but large error  
4 rates, even as close as 4 hours out, so we're talking about  
5 weather and shifting pressure systems that basically cause  
6 that change.

7           So, we'd have to be real conservative if that was  
8 something, we were looking at taking into account.

9           MR. KOLKMANN: Okay, well now I'm going to offer  
10 up the third time. And I'm going to sit here for 15.

11           MR. MCCAULIFFE: This has been a great  
12 discussion. I just want to comment on that. Kind of a  
13 slightly unrelated question back to -- oh, I'm sorry, Jack  
14 McCauliffe with Lindsey, a DOR provider. We had done some  
15 work with one of the ISOs that's up there -- I don't need to  
16 name it, about a year ago.

17           We published a paper. It's been submitted, but  
18 I'm looking for the panel's comments. This is one where  
19 there was a wind farm that was curtailed regularly because  
20 the lines -- the outtake lines for the power were  
21 constrained and it was shown that DLR could alleviate that  
22 issue.

23           The problem then became that the wind farm  
24 operator would benefit, but he had no ability to tell the TO  
25 to install it. The TO is not interested in installing it.

1 The ISO, of course, doesn't have the authority to order  
2 something like that to be installed.

3 So, I was just kind of interested in terms of if  
4 there is a move forward with a requirement for AAR or DLR  
5 type ratings, were equipment like that needs to be installed  
6 where there is an identified need, how would that -- do you  
7 see a mechanism to address that come about?

8 MR. ROUSSELLE: For yesterday's panel we  
9 listened, I think, to PJM mention that they're considering  
10 the use of DLR as a transmission upgrade enhancement, or  
11 perhaps even into the interconnection as the upgrade  
12 mechanism itself. Perhaps that, you know, that a merchant  
13 could do that.

14 Perhaps the generator could do that. The  
15 question really is who is going to allow us to put a blood  
16 pressure cuff on a line of someone who doesn't necessarily  
17 benefit from more information on that line, so the ISOs  
18 wouldn't.

19 MR. KOLKMANN: A question in the back? Please  
20 identify yourself.

21 MR. CURL: Sure, I'm Todd Curl, I'm with the CIRC  
22 region, I'm the Manager of Compliance Monitoring. I have  
23 oversight of the CIP and O&P audit staff, and I don't have a  
24 question. I have more of a comment. There was some  
25 discussion earlier about auditors not checking the

1 validation of facility ratings, and I will tell you that  
2 there are some regions that do that, and I know CIRC has  
3 been doing it for a couple of years.

4 And if there's -- if someone would like to  
5 discuss that offline, I will be happy to do that.

6 MR. KOLKMANN: Thank you for pointing that out.  
7 Okay, well, it is 10:15. We will end 15 minutes early, and  
8 we can start the next panel at 10:30, rather than 10:45.  
9 Thank you very much everyone for your time. It was very  
10 informative. We'll see everyone soon.

11 (Break).

12 MR. KOLKMANN: If people could take their seats,  
13 it'd be helpful. We'd like to get started. Thanks everyone  
14 for being here. Welcome to our fifth and final panel for  
15 today, where we'll be discussing Transmission Line Rating  
16 Methodology Transparency.

17 The panel features an array of industry experts  
18 who will discuss both the potential benefits and costs to  
19 increased transmission line rating transparency and  
20 understanding that concerns may exist regarding the  
21 inaccessibility of transmission line rating methodologies  
22 and resulting ratings.

23 Additionally, Panel 5 will discuss best practices  
24 for documenting transmission line ratings, the merits or  
25 challenges of having line rating methodologies, assumptions,

1 and/or ratings themselves be available for review and  
2 challenged by market participants and coordination between  
3 line rating methodologies in ATC calculations methodologies.  
4 Thanks everyone for being here. We'll start from audience's  
5 left to right, my right to left. First, we have Mr. Carlos  
6 Casablanca from AEP, Devin Hartman from ELCON, Dennis Kramer  
7 from Ameren, Michelle Bourg, from Entergy, Michael Kormos  
8 from Exelon, Joe Bowring, Monitoring Analytics, and Michael  
9 Chaisson from Potomac Economics.

10           Again, thank everyone for being here and we'll  
11 start with Mr. Casablanca, take us away.

12           MR. CASABLANCA: Good morning. I'm going to read  
13 my prepared statement. Chairman Chatterjee, Commissioners,  
14 staff, and colleagues, thank you for the opportunity to  
15 participate in this important dialogue. My name is Carlos  
16 Casablanca, and I am the Director of Advanced Transmission  
17 Studies and Technology at AEP Transmission.

18           American Electric Power is one of the largest  
19 electric utilities in the United States, delivering  
20 electricity to more than 5.3 million customers in 11 states.  
21 AEP also owns the nation's largest electricity transmission  
22 system, a more than 40,000-mile network that includes more  
23 765 kilovolt extra-high voltage transmission lines than all  
24 other U.S. transmission systems combined.

25           AEP's transmission system, directly or

1 indirectly, services about 10 percent of the electricity  
2 demand in the Eastern Interconnection, and approximately 11  
3 percent of the electricity demand in ERCOT.

4           Transmission system facility ratings are an  
5 integral part of the process of developing, operating, and  
6 maintaining a safe, reliable and economic transmission  
7 system. The methods through which transmission system  
8 facility ratings have been determined have evolved over time  
9 and will likely continue to evolve as science, technology  
10 and our operating experience as an industry and  
11 transmission owners continues to evolve.

12           Different transmission owners can, and do, apply  
13 different methodologies and assumptions in determining their  
14 facility ratings. Differences in equipment specifications,  
15 weather patterns, environmental conditions, geography,  
16 resource availability, risk profile, and operating  
17 experience are just some of the reasons why facility rating  
18 methodology differences can, and do, exist among  
19 transmission owners.

20           In the end, transmission owners have the duty to  
21 own and operate a safe, reliable and economic transmission  
22 system, and they accept the risks and liability associated  
23 with these obligations.

24           AEP believes that the existing NERC Reliability  
25 Compliance Standards, like the FAC-008 standard, are more

1 than adequate to have review and oversight over the facility  
2 rating methodology applied by transmission owners.

3           Strict processes and controls are already in  
4 place to ensure that transmission facility ratings used in  
5 long-term transmission planning and real-time operational  
6 planning studies are determined based on technically sound  
7 principals. Transmission owners are required to adhere to  
8 their established rating methodologies and all changes to  
9 the methodology or assumptions are required to be  
10 documented and communicated accordingly.

11           Within AEP, facility ratings methodology changes  
12 can be triggered by regulatory mandates, changes in technical  
13 reference documents and standards, new technology, or new  
14 technical insights brought about operating experience.

15           These methodology changes are proposed as needed  
16 and issued by our internal engineering standards teams, and  
17 go through a coordinated internal cross-functional review.  
18 The impact of the proposed changes is reviewed internally by  
19 our Transmission Planning and Transmission Operations  
20 organization, which will determine if any long-term or  
21 short-term mitigation steps will need to be put in place to  
22 address any facility rating changes as a result of the  
23 methodology change.

24           Once fully vetted and evaluated internally, the  
25 changes are made and communicated to the respective regional

1 organization. In some cases, depending on the significance  
2 of the facility rating changes, AEP will inform and discuss  
3 the changes with the appropriate regional organization prior  
4 to implementation of the ratings change.

5 AEP has shared details of our facility rating  
6 methodology with regional entities as part of competitive  
7 transmission project proposals undertaken under FERC Order  
8 1000, to justify transmission line conductor selection and  
9 overall facility ratings.

10 A review of the rationale of selected facility  
11 rating parameters and assumptions is common by the issuer of  
12 the competitive project's Request for Proposal to ensure  
13 fairness among competing proposals. AEP has also shared  
14 details of its facility rating methodology and assumptions  
15 in past technical industry publications.

16 As such, if the Commission believes that  
17 developing a consistent process aimed at the publication of  
18 transmission line rating methodologies by all transmission  
19 owners would help maintain or improve the safety,  
20 reliability and cost-effectiveness of the transmission  
21 system, then AEP would support it.

22 If this approach were chosen, AEP would ask that  
23 the Commission implement protections to ensure that  
24 transmission owners, regional transmission organizations,  
25 independent system operators, and the Commission itself, do



1 not become burdened by litigation and challenges associated  
2 with third party concerns with a transmission line rating  
3 methodology and assumptions applied by different  
4 Transmission Owners.

5           As mentioned previously, transmission owners have  
6 the duty to own and operate a safe, reliable and economic  
7 transmission system, and they accept the risks and liability  
8 associated with these obligations. Allowing open challenges  
9 by any third party to transmission line rating methodologies  
10 would be a burden and distraction to the industry and AEP  
11 would oppose those attempts.

12           I would like to thank again the FERC  
13 Commissioners and staff for your time, for organizing this  
14 Technical Conference, and for allowing us to participate. I  
15 welcome your questions and look forward to the coming  
16 dialogue. Thank you.

17           MR. KOLKMANN: Thank you. We'll next turn to  
18 Devin Hartman from ELCON.

19           MR. HARTMAN: Good morning. My name is Devin  
20 Hartman. I am the President and CEO of the Electricity  
21 Consumers Resource Council. ELCON is the national  
22 association representing large industrial consumers of  
23 electricity, who own and operate major manufacturing  
24 facilities throughout the United States.

25           Energy-intensive industry must have access to

1 reliable, low-cost electricity to maintain a global cost  
2 advantage. Transmission policy, to be frank, is a growing  
3 area of concern in this regard. Transmission charges are  
4 rising rapidly, oversight is lacking, and best practices and  
5 use of advanced low-cost technologies are being foregone.

6           We applaud the Commission for looking into one  
7 critical aspect of this -- transparency and best practices  
8 in transmission line ratings.

9           There are several interrelated categories of best  
10 practices in transmission line ratings: technical,  
11 reporting and oversight. All three appear severely  
12 deficient across transmission operating systems, both within  
13 and outside ISOs.

14           Now, no singular best practice exists for  
15 technical line rating methodology, as I think prior  
16 commenters have pointed out, as various qualified means  
17 exist to measure and project the ratings effect of  
18 meteorological conditions.

19           However, temperature effects are the most  
20 impactful on ratings and have a relatively low error rate,  
21 and expectations for AARs to constitute a minimum best  
22 practice seem reasonable.

23           DLRs often constitute best practices in  
24 chronically congested areas, but the added cost and  
25 uncertainty in variables that increase greater line rating

1 error may not justify the benefits in all applications.  
2 Thus, the Commission may look into establishing a floor for  
3 generalizable best practices, where benefits uniformly  
4 outweigh costs, with expectations that best practices in  
5 DLRs may fall more on a case-by-case basis.

6           Generally, best practices should at least  
7 incorporate duration-differentiated temperature and wind  
8 speed conditions, unless the transmission owner can  
9 demonstrate otherwise under an economically robust and  
10 transparent review process.

11           Seasonal line ratings appear to be standard  
12 practice, where AARs and DLRs are clearly the exception.  
13 Such chronic understating of line ratings has major economic  
14 ramifications for consumers. A stark monetization of this  
15 gap between actual and best practices was provided by the  
16 independent market monitor for MISO, which found AARs would  
17 have reduced congestion costs by over 100 million annually  
18 in recent years.

19           This excludes many other cost savings and  
20 reliability benefits. This magnitude of benefit is not  
21 likely unique to MISO. Rather, this is the only IMM to  
22 quantify these potential benefits in this capacity, which  
23 brought much needed attention to this issue.

24           Now, assessing the extent of the gap between best  
25 and actual technical practices is highly constrained by

1 shortcomings in reporting and oversight practices.  
2 Deficiencies stem from poor incentives for transmission  
3 owners and an opaque and frankly, outdated reliability only  
4 oversight process.

5           The predominant oversight perspective is that the  
6 transmission system has a fixed capacity and topology and  
7 that altering reliability parameters to incorporate  
8 unconventional methods is often a reliability risk that's  
9 not worth undertaking.

10           NERC Reliability Standard FAC-008-3, requires  
11 transmission owners to document line rating methodology,  
12 much of which is non-public. NERC audits of this  
13 methodology only examine reliability impacts, which  
14 generally reflect worst-case temperature assumptions.

15           As such, this process permits excessively  
16 conservative and economically inefficient line rating  
17 practices to continue. Moving this over to ISOs -- ISOs do  
18 not provide economic oversight either. ISOs typically play  
19 a passive role of accepting transmission owner's rating  
20 proposals without providing much or any scrutiny,  
21 especially in the economic utilization context.

22           Sometimes an RTO will initiate a request to  
23 change line ratings for reliability purposes like managing a  
24 contingency. Some IMMs may be able to obtain the  
25 methodology on a case-by-case basis, but do not have access

1 to a comprehensive database of rating methodology, nor the  
2 limiting elements behind the ratings required for a  
3 routinized review process.

4           As such, there is not a robust process to  
5 document and review transmission line ratings for economic  
6 performance anywhere in the country. Robust documentation  
7 and oversight is imperative, given the problematic incentive  
8 structure of some transmission owners.

9           At best, transmission owners are indifferent to  
10 economically adjusting line ratings because they receive no  
11 financial return for improved operational efficiency. At  
12 worst, some transmission owners have a perverse financial  
13 incentive as understated line ratings justify unnecessary  
14 transmission rate base expansion.

15           These problems will not fix themselves without  
16 Commission action. To address the oversight void, ELCON  
17 encourages the Commission to lead a dedicated effort to  
18 institutionalize an independent, economically robust, and  
19 transparent review process for transmission line ratings  
20 that is auditable and enforceable.

21           A standardized review process does not and should  
22 not require a standardized methodology, but should set  
23 minimum parameters for AARs, if not DLRs in chronically  
24 congested areas, unless demonstrated to be infeasible or  
25 uneconomic by a transmission owner.

1           Methodologies, assumptions, and line ratings  
2 should be available for review and challenge by market  
3 participants, to the extent possible with CEII compliance.

4           The Commission should be mindful of unintended  
5 consequences of a piecemeal approach. Specifically,  
6 encouraging transmission owners to actively alter their line  
7 ratings without correcting oversight deficiencies, may  
8 incent new forms of market manipulation.

9           Potential cross product manipulation in this  
10 regard would be difficult to detect under current market  
11 monitoring practices, given incomplete information on  
12 physical transmission withholding parameters.

13           The Commission could also look to expand ISO  
14 reporting metrics to include transmission system utilization  
15 rates and line ratings methodologies. This would add  
16 tremendous clarity on the gap between best and actual  
17 practices, while its aggregate format avoids any concerns  
18 over CEII or confidentiality.

19           While this approach would take considerable time,  
20 at least an aggregate survey of current rating methodologies  
21 would provide valuable insight on an expedited timeframe,  
22 which could inform next steps for Commission action. This  
23 concludes my prepared remarks, thank you.

24           MR. KOLKMANN: Thank you, we'll next turn to Mr.  
25 Kramer from Ameren.

1           MR. KRAMER: Thank you and good morning. My name  
2 is Dennis Kramer, Senior Director of Transmission Policy and  
3 Stakeholder Relations for Ameren Services Company, and  
4 appear today on behalf of the MISO transmission owners.

5           The MISO transmission owners thank the Commission  
6 for holding this Technical Conference on the concept of  
7 adjusting transmission line ratings, and this panel  
8 specifically on how transmission line ratings are  
9 established and how to provide adequate transparency to  
10 that process.

11           In the interest of time I'll just hit some major  
12 points of my opening statements since it's already been  
13 entered. The ratings that transmission owners determine for  
14 their facilities are a major factor in determining how the  
15 bulk electric system is operated and planned, as well as how  
16 organized markets function.

17           There are various types of ratings including  
18 static, seasonal, emergency and adjustable. Regardless of  
19 the purpose of the rating or the method transmission owners  
20 use to determine, the ratings must maintain public and  
21 employee safety, ensure the bulk electric system is operated  
22 and designed in compliance with NERC standards, not operate  
23 equipment in a manner detrimental to its planned lifespan,  
24 and be available to parties that depend upon these values  
25 for safe and reliable operation of the bulk electric system

1 or making decisions that are vital to the success of their  
2 business.

3           Typically, transmission owners -- transmission  
4 owners typically use very similar methods -- IEEE 738 for  
5 example, to calculate the method of line ratings. But we  
6 incorporate a multitude of factors, many of which you've  
7 heard already -- temperature, wind velocity, angle of wind  
8 direction relative to the conductor, solar radiation, and  
9 other specific environmental attributes that may be unique  
10 to a line location.

11           There's -- in summary, there is no one size fits  
12 all path forward and the Commission should recognize the  
13 differences in how the transmission system has developed  
14 over time because of unique topology, specific system  
15 requirements, and differing environmental conditions before  
16 any new or modified rules or requirements are considered, it  
17 is critical that all aspects of adjustable line ratings be  
18 identified and fully investigated.

19           This Technical Conference is a good first step in  
20 that process. The MISO transmission owners look forward to  
21 the exchange of information during this Technical  
22 Conference, and future discussions on these topics, thank  
23 you.

24           MR. KOLKMANN: Thank you. Miss Bourg from  
25 Entergy.



1 MS. BOURG: Yes, good morning. My name is  
2 Michelle Bourg. I serve as the Vice President of the  
3 Transmission Asset Management for Entergy Services, and on  
4 behalf of Entergy, I'd like to thank the Commission and  
5 staff for having this Technical Conference to discuss the  
6 use of ambient adjusted ratings.

7 As I mentioned yesterday in my opening remarks,  
8 this has been a journey for Entergy in our implementation of  
9 AARs, specifically, temperature-adjusted ratings. And  
10 throughout that journey we've maintained a focus on  
11 balancing first grid security and safety and the operational  
12 flexibility that the use of temperature adjusted ratings  
13 provides for us with our desire to help maximize efficiency  
14 of the market.

15 I talked yesterday. I'll just recap some of the  
16 comments that I made. Entergy does believe that temperature  
17 adjusted ratings and using temperature to adjust the  
18 ratings, is the most efficient way for Entergy to understand  
19 what its current rating capabilities are.

20 40% of our facilities are currently temperature  
21 adjusted on an hourly basis. This is an automated process  
22 that we've developed internally using commercially available  
23 weather information. We work very closely and coordinate  
24 and partner with MISO to identify what facilities within the  
25 Entergy footprint would be beneficial to temperature adjust,

1 and we use that operational knowledge -- both Entergy's  
2 operational knowledge, and MISO's knowledge both of you  
3 know, the operations of our grid and the market to inform  
4 that process.

5           We have realized significant benefits over the  
6 past three years since we formally adopted a pilot program  
7 back in 2016, and we've identified and realized anywhere  
8 from 5 to 25% average increase in ratings on our facilities  
9 and that varies by the kV class. We feel very strongly that  
10 temperature adjusted ratings, or any ambient adjusted  
11 ratings should not be utilized beyond the very near term  
12 operating horizon and should not be considered for any  
13 reasons outside of that, whether it be reliability planning,  
14 economic planning or consideration for generator  
15 interconnection studies.

16           There is a very significant resource commitment  
17 to achieve that the process that we've put in place and the  
18 temperature adjusted ratings in the scale that we've  
19 deployed, but we do feel strongly that there is a value in  
20 automating the process to reduce and minimize any likelihood  
21 of human error that may be introduced into the process by  
22 doing it manually.

23           We do feel strongly as well, and we'll reiterate  
24 risk associated with the use of short-term emergency ratings  
25 for any economic purposes or for market efficiency. The

1 fact that emergency ratings, as we've discussed yesterday,  
2 at the point at which a facility may have degradation of  
3 life or have damage, those ratings, being that we are  
4 jeopardizing reliability at that point and system security,  
5 we should not have those ratings used for any economic  
6 purposes.

7           As Dennis mentioned, you know, there is no one  
8 size fits all approach for how transmission owners should  
9 apply ambient adjusted ratings to their facilities, but I'm  
10 happy to be here on behalf of Entergy to talk about our  
11 journey and what we've learned through the process, thank  
12 you.

13           MR. KOLKMANN: Thank you, we'll next turn to Mr.  
14 Kormos from Exelon.

15           MR. KORMOS: Thank you and thank you for the  
16 opportunity to express Exelon's views on transmission  
17 ratings and give you our opinion on a little bit of it. I  
18 was also experienced with an RTO, so I may slip a little bit  
19 of that in, and please understand that's my personal  
20 opinion, not Exelon's, nor my former companies.

21           You know, our experience has been we are a very  
22 big supporter of ambient temperature, adjusted temperature  
23 rating sets. 5 out of our 6 utilities have in fact,  
24 implemented them fully in PJM. Many of them have done it  
25 for many, many years in PJM.

1           The only company that right now has not is Com-Ed  
2 in our system, and although their methodology does include  
3 it, we actually do in fact calculate them. Right now, they  
4 have an EMS limitation that does not allow them to put them  
5 into real-time operations. That limitation will be removed  
6 next year. We are doing an EMS refresher for the Exelon  
7 system.

8           Once that refresh is in, Com-Ed will be fully  
9 implemented with ambient temperature adjusted ratings as  
10 well. On the dynamic ratings, you know, going more fully to  
11 real-time, hourly dynamic ratings in the field measurements,  
12 however you want to look at it, I think you know, our  
13 experience is it may be a niche. There may be some  
14 opportunities out there where it makes -- it's  
15 cost-effective and the opportunity is there.

16           I think as many of the previous panels have  
17 mentioned, I don't see the use of it from a reliability  
18 perspective in our planning studies, only because again, we  
19 have to plan for the worst case. That is our criteria. I  
20 don't see us changing that criteria, and therefore, it  
21 really does come down to more of a congestion market  
22 efficiency.

23           And, you know, I would offer, at least in PJM, I  
24 think it's very transparent that for those lines that cross  
25 that threshold of market efficiency, have that kind of

1 congestion on there, they are put out through open windows.  
2 In those open windows, I will show you Exelon will look at  
3 every technology out there to solve that particular problem.

4           We have submitted proposals to PJM that include  
5 smart wires, that include batteries, we've not found one yet  
6 -- that dynamic line ratings would in fact, in our opinion,  
7 be cost effective or solve the problem. I also appreciate  
8 PJM's problem, and again, my opinion of how they would even  
9 evaluate something like that. I think, you know, trying to  
10 understand how much economic congestion could be in fact,  
11 relieved, without putting the actual devices out there and  
12 measuring what the ambient temperature of the wind speed  
13 would be, I'm not sure how PJM would go about it.

14           I mean I think that's one thing, and somebody  
15 mentioned PJM said they'll probably look further into how  
16 exactly would they weigh that kind of upgrade versus smart  
17 wires, versus typical reconductoring.

18           I think that's a question we probably still have  
19 to go further as far as asking ourselves. So, we're  
20 supporting of continuing to look at those technologies, and  
21 in fact, where they make sense, we would be happy to offer  
22 them as solutions, and if PJM believes that they are  
23 ultimately the most cost-effective way, implement them.

24           On the transparency issue, again, I'll sort of  
25 repeat a lot of what AEP said. You know, we are under

1 FAC-008 reliability standards. I will differ from the  
2 previous panel my experience with RFC and I confirmed it  
3 with a gentleman who was from RFC here in the room today.

4           They do not stop at the methodology. My guess,  
5 we provide them with our methodology, they also spot check  
6 us against actual ratings. We are required to provide them  
7 the ratings. We are required to provide them the underlying  
8 data to those ratings, they will redo the calculations and  
9 validate the ratings are as per the methodology, so I'm not  
10 sure where that experience he mentioned was, but that is not  
11 what we have seen in reliability first we are in fact  
12 required.

13           So, the fact that our -- we have documented  
14 methodologies, RFC audits against us, if we are out of  
15 compliance with that you will hear about that and we would  
16 correct it. I don't see a major issue as far as we follow  
17 our methodology and our methodology is very much based on  
18 the PJM guidelines, so PJM does have transparency, they do  
19 publish guidelines for rating transmission facilities.

20           We do follow those guidelines. There are some  
21 allowances for assumptions for wind speed, for internal  
22 conductor temperature and things like that that we do have  
23 some decision-making on, but we fall well within any IEEE or  
24 normal utility practice.

25           Like AEP, I don't think we have an issue making

1 that public. I would offer I don't think it needs to be  
2 filed in the tariff, I think that's a little bit overkill  
3 myself. But if the Commission felt that making those  
4 methodologies at that general level more available for  
5 people to understand what those assumptions are, we don't  
6 necessarily have any issues with that.

7 I would put out the warning that AEP put out  
8 though is I would hope that it just does not turn into a  
9 litigation battle. Please realize we make assumptions based  
10 on our physical assets, our geographic conditions.

11 We recognize that yes, changing some of those  
12 assumptions may benefit some parties, may harm other  
13 parties. There will be winners and losers in any change to  
14 those assumptions. And I'm sure there are many who would be  
15 happy for us to change them in their benefit and not so  
16 happy if we changed them against it.

17 So, again, I think they are done impartially  
18 based on systems conditions. I would not want to see this  
19 just turn into litigation as people just try to profit off  
20 of changing transmission ratings to benefit their particular  
21 situation.

22 As far as you know, the RTO -- validating our  
23 ratings again. We would have no issue with PJM validating  
24 our ratings if they so choose. In fact, I think they are  
25 another set of eyes for us and always have been. If they

1 see something, they think might be concerning to them on  
2 ratings, they will talk to us, absolutely.

3 We will fully work with them and cooperate with  
4 them. In fact, mistakes do make or can be made, if they are  
5 made, we appreciate any ability to get them corrected and  
6 done. Whether they should be required to do it, I will just  
7 give you my personal opinion. Again, I think that would be  
8 not a good use of the RTO resources.

9 I'm not aware of any underlying flaws where there  
10 are huge discrepancies in ratings that would justify PJM  
11 spending resources. I think they have a lot better things  
12 to do with those resources right now than go forward, but  
13 again, I don't think at the end of the day we have any  
14 significant issue if PJM would choose to want to do that.

15 So, with that I'm looking forward to answering  
16 your questions.

17 MR. KOLKMANN: Thank you, Mr. Bowring?

18 MR. BOWRING: Thank you, Joe Bowring, Market  
19 Monitor.

20 MR. KOLKMANN: Doctor Bowring, sorry.

21 MR. BOWRING: I needed this transmission engineer  
22 to help me. So, thank you to the staff and the Commission  
23 for focusing on this issue for a number of years, it's a  
24 critical issue, one that has not received near adequate  
25 attention so far.



1           So, as we know, and we've heard and is even more  
2 true than we've heard, transmission line ratings have wide  
3 ranging impacts on all elements of the PJM markets, from  
4 energy to capacity, to FDRs, congestion --

5           MR. KOLKMANN: I'm sorry, could you speak more  
6 into your microphone?

7           MR. BOWRING: I can try. Alright, is that  
8 better, okay. So, let me start over or not all the way.  
9 So, transmission line ratings have wide impacts on the PJM  
10 markets. All of the elements of those markets -- energy,  
11 capacity, interconnections that we heard about, FTR's,  
12 congestion -- every element of the PJM markets is affected,  
13 one way or another by the line ratings.

14           So, I want to talk -- I want to focus my comments  
15 on three areas. One is what the current practice is.  
16 Second, the AAR/DLR, AAR/DLR question and then third,  
17 respond to some of the comments that I've heard so far from  
18 other panelists in that same aspect.

19           So, the IMM actually recommends that all PJM  
20 transmission owners use the same methods, and we don't think  
21 that FAC-008 adequately defines those, but still subject to  
22 NERC and FERC oversight as to the basic engineering, the  
23 math and the assumptions, but ultimately end up approval by  
24 FERC.

25           So, the same facility ratings should have the

1 same -- the same facilities should have the same ratings  
2 under the same operating conditions regardless of the  
3 transmission owner. The transmission owner discretion  
4 should be minimized or eliminated in line ratings.

5           The line rating method should be based on the  
6 basic engineering and reflect the impact of actual operating  
7 conditions. The line rating method should be fully and  
8 publicly transparent. We'd also recommend that the FERC  
9 require that PJM routinely review all transmission facility  
10 ratings, and any changes to those ratings to ensure that the  
11 normal emergency and load ratings used in modeling the  
12 transmission system are accurate and reflect that standard  
13 ratings practice.

14           All the line ratings changes and the detailed  
15 reasons for them should be publicly available. So, in PJM,  
16 as you've heard, PJM provides a matrix for the transmission  
17 owners to fill out an 8 by 8 matrix with a temperature  
18 variation -- day and night variation and line rating  
19 variation. That is static emergency short-term and  
20 long-term emergency and load dump.

21           So, we've heard that TOs are required to fill  
22 that out. Well, yes and no. They're required to put a  
23 number in every cell, but the number in every cell can be  
24 the same with only one exception. There has to be a  
25 difference between the load dump -- a defined difference,

1 fairly small, to find the difference between the load dump  
2 and the short-term emergency.

3           So, saying that PJM requires it and saying that  
4 they actually require ambient adjusted ratings are two  
5 different things. Now, as Mike said, there are a number  
6 that do that. PJM is to be praised for putting that in  
7 place in the first place in advance to require the metrics  
8 to be filled out. The next step is to make sure that it's  
9 filled out accurately in every cell.

10           So, at the moment PJM typically uses normal line  
11 ratings for pre-contingency long-term emergency ratings,  
12 that is 4 hour ratings for post-contingency constraints.  
13 PJM, as we talked about, requires temperature variation, but  
14 PJM -- and PJM transmission owners are responsible for  
15 developing their own methods computing line ratings, subject  
16 to the FAC-008 as you've heard.

17           But PJM does not review the accuracy of  
18 transmission owner's methods to do line ratings and PJM  
19 transmission owners have substantial discretion in the  
20 approach -- in fact PJM has said publicly, that there are no  
21 requirements for PJM to approve or verify a TOs ratings, or  
22 to do any kind of consistency check.

23           So, on AARs, we agree that AARs should be  
24 required. FERC should require every RTO to enforce the RTOs  
25 to require every RTO to do AARs, there's simply no reason

1 not to have that information. Not having it is akin to  
2 saying you have your ratings wrong most of the time.

3           It seems fairly evident and I've heard similar  
4 comments from other panelists. And given the significant  
5 impact of transmission line ratings and all the elements of  
6 the market, ensuring and improving the accuracy and  
7 transparency of line ratings is critical for the functioning  
8 of the markets.

9           Line ratings should incorporate ambient  
10 temperature conditions and wind speed and other relevant  
11 operating conditions, and they should do it on a standard  
12 basis as I indicated.

13           PJM real-time prices are calculated every 5  
14 minutes. The system operates in real-time. There's no  
15 reason for the line ratings to be the same by season all  
16 hours of the day -- simply no reason for that. It's putting  
17 the wrong information into the system.

18           So, for consistency of the dynamic nature of the  
19 wholesale power markets, the line rating should be updated  
20 in real-time to reflect real-time conditions as they are for  
21 many TOs in PJM and to help ensure that real-time prices are  
22 based on actual current line ratings again, as they are in  
23 many cases in PJM.

24           So, DLRs -- so, DLRs provide information. They  
25 provide information which contributes to better system

1 operator knowledge about the nature of the system. Why TOs  
2 wouldn't want this on every single line is beyond me. I  
3 would think they would. Of course, it does cost money.  
4 There is something of a trade-off.

5           But it's -- from what we've heard, from the  
6 providers of the technology, it does not appear to be  
7 anything remotely like the costs of the underlying  
8 transmission system. So, I recommend that the Commission  
9 require every TO, through the RTOs, to at least engage in  
10 pilots to start to put the DLR technology -- not to use  
11 dynamic line ratings, to put the technology on the lines  
12 that we get the data.

13           As one of the earlier panelists said, you can't  
14 decide what that means until you have the data. We've seen  
15 some pretty variable output from those in the first panel  
16 yesterday, but you need the data to make a decision. The  
17 only way you get the data is to put those pieces of  
18 technology on the lines.

19           I mean there's been a lot of talk about smart  
20 grid, this seems to me to kind of be one of the basic  
21 elements of what a smart grid would be. It can't be smart  
22 without information about what's happening on every line,  
23 that's got to be part of it.

24           So, the goal in all this should be to use or to  
25 gather and to use the best data available about the way the

1 transmission system's functioning. The failure to use AARs  
2 means the line ratings are wrong, as I said, with  
3 significant consequences.

4           And just in general about the impact of markets  
5 -- better data is a good thing. The markets can deal with  
6 it. I mean someone on the earlier panel said all of the  
7 other issues that have been raised can be dealt with.  
8 People are dealing with those other issues every day.

9           There's better data the markets should be dealing  
10 with. They're dealing with it now even though not in a  
11 transparent way. They have to deal with the actual facts,  
12 so the markets can address any changes in line ratings.

13           So, just a couple of comments and issues from  
14 today and yesterday. So, first of all, congestion is not a  
15 bad thing. That's why we have L&P. If we thought  
16 congestion was a bad thing, we wouldn't bother with L&P, or  
17 we would copper plate the system.

18           They've tried that in a few places, it hasn't  
19 really worked. There's still congestion, whether you  
20 pretend there is or not. Congestion is a function, as we  
21 know of the nature of the transmission system, but also the  
22 location and generation, and the relative fuel costs of  
23 generation.

24           People built the system in the first place not  
25 copper plating it because it was more economic and efficient

1 to build high cost generation in low pockets, rather than  
2 build expensive transmission lines. So, there was some  
3 comment about PJM congestion yesterday, and PJM congestion  
4 increased in 2018, but it increased because of a couple of  
5 months -- January and February, the weather is really cold,  
6 and we're burning oil in the East and congestion was higher.

7 In 2019, congestion is down the first half of  
8 2019, congestion is down dramatically. There's no long-term  
9 trend to increase congestion, but congestion, as far as I'm  
10 concerned, is neither here nor there on this issue. The  
11 issue is better data, better information about the  
12 transmission system, and that will help the markets work  
13 more efficiently, regardless of the level of congestion.

14 There was another comment about using DLRs in the  
15 PJM cost benefit analysis. So, just as on the side, we  
16 think the PJM cost benefit analysis is simply wrong, it  
17 ignores increases in the congestion, only looked at  
18 decreases in congestion and shouldn't be used as the basis  
19 for anything.

20 DLRs should be used for -- as information for  
21 whatever purposes are relevant in operating the markets. I  
22 think they should both be considered in long-term planning.  
23 There's been some talk that they shouldn't be included in  
24 the long-term planning, but they should be considered, but  
25 carefully.

1           You don't simply just assume that you're going to  
2 use a low rating on a peak day for truly planning the system  
3 for one peak day, which is not really how it's planned, but  
4 it has to meet that capability, then the line rating should  
5 be consistent with that.

6           But that doesn't mean you should ignore the  
7 information. Finally, incentives were addressed also. So,  
8 on the early -- on the first panel yesterday, it was  
9 explained that somehow benefit sharing was necessary and/or  
10 there were a number of incentive issues and somehow you have  
11 to pay people special incentives in order to provide this  
12 data.

13           So, as with transmission costs generally in my  
14 view, competition is to be preferred to the kind of  
15 incentives we're talking about. If you think about the  
16 incentives to build the transmission lines right now, the  
17 amount of money you would have to pay someone to overcome  
18 that incentive and do dynamic line ratings instead is  
19 massive.

20           It's -- the returns on capital would be  
21 phenomenal. So, I mean those simply aren't comparable. So,  
22 why not have competition if the TOs decide they don't want  
23 to do it, these are not invasive technologies, consistent  
24 with a TOs operating practice, as was suggested earlier --  
25 generators or merchant transmission folks offer to put those



1 facilities on the transmission grid.

2           And if it's not going to be competition, it  
3 should be a regulatory requirement. Incentives simply are  
4 not going to work here, given the way rate payers rate of  
5 return works, given what Rob Gramlich reminded us about  
6 average johnson and the capital intensive nature of the  
7 underlying transmission grid. You're not going to overcome  
8 that with benefit sharing, nor should you attempt to.

9           So, for the fundamental in all this is use the  
10 best data, get the best data, require the best data, use it  
11 and implement it and let that affect markets as it will.  
12 So, thank you for the opportunity to talk today, and I look  
13 forward to the back and forth.

14           MR. KOLKMANN: Thank you. And we'll last turn to  
15 Mr. Chaisson from Potomac.

16           MR. CHAISSON: Good morning, I'm Mike Chaisson  
17 from Potomac Economics. We thank you for the opportunity to  
18 share our views. I'll be speaking mostly on the  
19 transparency. We're in favor of there being a general  
20 requirement -- broad requirement, for implementing AARs and  
21 some encouragement or incentives for DLRs.

22           Going that direction calls out for a need for  
23 transparency and the entity that needs this transparent  
24 access would be the transmission providers, the market  
25 monitors and market participants in general.

1           So, additional transparency regarding ratings  
2 methodology is essential for administering an AAR  
3 requirement. In spite of MISO having the FAC-008 so they  
4 can request methodologies, MISO still have very little  
5 information on TO rating methodologies, limiting elements or  
6 other inputs to the rating calculations. This makes it  
7 impossible for MISO, the transmission provider, to  
8 administer and oversee compliance with the requirement to  
9 provide AARs and to utilize ratings in a reasonable manner.

10           So, if FERC issues a requirement, it should  
11 include the submission of rating methodologies and other  
12 relevant data to the RTO along with timely updates of that  
13 data.

14           As the market monitor for MISO, we are  
15 responsible for monitoring for the withholding of  
16 transmission, which can occur by submitting understated  
17 ratings. Hence, we need the same information as RTOs to  
18 carry out our function and help enforce the AAR requirement.

19           On the physical withholding, the MISO Tariff  
20 tasks us with monitoring and implementation of mitigation  
21 measures for physical withhold of transmission facilities.  
22 We have to determine if the ratings are based on verifiable  
23 technical reasons.

24           For us to do this, we need access to the  
25 methodologies, assumptions, the calculation detail

1 associated with the limiting elements that set the ratings  
2 onto specific branch. So, MISO uses a bus branch granularly  
3 for the ratings which doesn't see the specifics of what's  
4 setting the limit, but that has to be transparent.

5           To support monitoring this data, and the next  
6 most limiting element in addition needs to be broadly  
7 available. The way the monitoring function works -- market  
8 monitoring as we do broad monitoring of lots of data, and  
9 then when we see an outlier, we do a focus investigation on  
10 those outliers, things that look of more concern.

11           So, the monitoring -- the methodologies and the  
12 limiting elements needs to be broadly available, but when we  
13 drop into the investigation, it's at that point that we need  
14 the calculation details. And these can just be available  
15 upon request, so we can make sure that the ratings aren't  
16 overly conservative or overly causing congestion.

17           As far as best practices, we did hear from Dede  
18 from the Cali ISO that they routinely receive some of this  
19 information. They get it on a no breaker level, and they  
20 know what the limiting element is.

21           This histogram that I have on the screen is to  
22 illustrate the need for transparency. If I'm going to see a  
23 rating, and this is for winter ratings of 115 kV line, if  
24 I'm going to look at one and say well is this a reasonable  
25 rating? The first thought is well, how does it compare with

1 everybody else?

2 Well, this is what everybody in MISO is saying  
3 that they're B rating, this what is their emergency one hour  
4 rating is and you can see that this is all over the map.  
5 The standard deviation is greater than the mean, and this  
6 isn't the worst of it. This histogram actually proceeds  
7 several more pages off to the right with outliers.

8 So, its everywhere. You can effectively monitor  
9 without knowing the basis for the ratings, just knowing  
10 there's a 115 kV line tells you almost nothing, so this is  
11 quite a challenge. This is over 30 TOs worth of data.

12 Now, there's some reasons for the dispersion of  
13 this data, sometimes it's a thermal limitation, sometimes  
14 it's not. If it's a thermal limitation, it might be the max  
15 conductor temperature. It might be the conductor sag limit,  
16 or it might be some substation equipment or terminal  
17 equipment.

18 If it's not a thermal limitation, it might be a  
19 voltage or a stability. So, that accounts for some of the  
20 dispersion but what I think is less justifiable is that when  
21 you look at all these winter B ratings, 63% of these are the  
22 same as the A ratings. So, the emergency rating square has  
23 the continuous rating number in them.

24 So, that's a concern. And additionally, 30% of  
25 the winter ratings are the same as the summer ratings, so

1 here we are in the middle of the winter when we're using a  
2 90 degree summer rating, so all of those are mixed in there  
3 contributing to this big range in values for sometimes these  
4 115 kV lines are you know, right next to each other,  
5 different TOs and showing vastly different outcomes.

6           Only 9% of the ratings are used in AARs, ambient  
7 adjusted ratings. So, a lot of the difference can be  
8 attributed to the ratings methodology differences. The TOs  
9 had a lot of latitude in how they meet the standards and set  
10 these methodologies. I believe the standards are pretty  
11 good in making sure the system is safe and secure, but it  
12 doesn't have protections for the transmission owner being  
13 overly conservative.

14           If they are unjustifiably overly conservative,  
15 that pushes them into the physical withholding question from  
16 us is market monitors -- is that past the bounds of  
17 reasonableness? So, we need a lot more transmission  
18 transportation to see whether what's driving these variances  
19 to figure out what's an outlier and to be able to dive in  
20 and look at the details and make sure it's justified.

21           Okay, a little more on the need for transparency.  
22 So, again we think AARs should be broadly applied. DLRs  
23 should be encouraged and incentivized. I like that idea of  
24 competition being brought in. We also don't think that  
25 substation equipment should be excluded.

1           A lot of substation equipment are being driven by  
2 thermal limitation and it just doesn't make sense to say  
3 that ambient temperature is irrelevant if it's a thermal  
4 limitation just because it's in a substation.

5           So, for the DLRs, the transmission owners are  
6 responsible for citing the ratings, and they can determine  
7 the potential ratings increases by using DLRs, but we don't  
8 think they're necessarily in the best position to figure out  
9 all the benefits associated with that because the benefits  
10 are going to be more of an economic thing in terms of  
11 dollars, so that should be more of a transparent discussion  
12 that involves the RTO ISOs and the market monitors to  
13 figure out whether this change in ratings or change in  
14 congestion is substantial and worth the benefits.

15           So, I think there has to be a little bit more of  
16 an open process. So, should the FAC established requirement  
17 for AARs -- independent oversight is needed to ensure that  
18 the requirement is being met.

19           A similar process to establishing consultative  
20 reference for generating resources can be used for  
21 transmission facilities and just how we do this, how we  
22 monitor it, where we could have ratings being organized by  
23 the characteristics of the limiting elements, and then we  
24 can group just these limiting elements in a histogram that  
25 makes sense beyond the outliers and automate that whole

1 process.

2           And then require additional documentation for  
3 just these outliers. I'm a little unique in the panels in  
4 that I've had experiences in going in and validating  
5 transmission ratings on a case by case basis and looking at  
6 the individual calculations where the RTOs -- they have  
7 systems in place to see if the value is stale or its missing  
8 and how you roll over to the seasonal if the AAR's not  
9 there.

10           Those are more IT issues. We're interested not  
11 in just is the software working, but is the value itself  
12 reasonable? So, that concludes my comments.

13           MR, KOLKMANN: Thank you. Obviously we've heard  
14 varying opinions on the idea of transparency. Starting with  
15 the methodology itself and then moving to the results of  
16 that methodology. Where do people think that -- where might  
17 it be most valuable to put the transmission methodology, if  
18 not the status quo?

19           Different opinions on tariffs -- the one benefit  
20 I can think of, there's a -- it's all in one spot, so it's  
21 easier for users, but we'll go off in different opinions.

22           MS. BOURG: I just want to make a comment, it's  
23 related to your question but it really addresses some of the  
24 conversation that's been had on this panel and the previous  
25 panel specifically relating to FAC-008, and since our friend

1 from NERC is not on the panel, I just wanted to share really  
2 for the benefit of the group and for the record, just some  
3 of the sub requirements.

4           We talked a lot about R3 in FAC-008, but the fact  
5 that R4 requires transmission owners to make the facility  
6 rating methodology available to RCs, and it goes on to list  
7 other entities as well upon request. But it reads -- not  
8 only make the facility rating methodology available, but  
9 also provide it for "inspection and technical review to the  
10 reliability coordinator".

11           So, going back to some of the comment around, you  
12 know, the RTOs, or the RCs don't really have the information  
13 they need to make informed judgments as to whether or not  
14 the methodology is reasonable or not. FAC-008 specifically  
15 requires in R4 that transmission owners provide that  
16 information to the RC.

17           So, I just -- again, I wanted to read that into  
18 the record and also in our 8 -- under FAC-008, "requires  
19 transmission owners to share limiting element information  
20 with RCs and other entities as well upon request." So, from  
21 some of the prior conversation yesterday and then today as  
22 well around other entities don't have transparency into  
23 limiting elements to make good decisions, right in the  
24 near-term or the longer-term environment.

25           FAC-008 does require transmission owners to make



1 that information available upon request.

2 MR. BOWRING: So, just very briefly on that. I  
3 did not -- I'm not sure what you're talking about, but I did  
4 not say the information was not available to the RTOs, I  
5 said they don't actually do the review, there's a  
6 difference.

7 MR. KOLKMANN: Thank you for clarifying, Devin?

8 MR. HARTMAN: Sure, I'll try to speak to your  
9 first question, and then maybe provide a little add-on to  
10 some of the context that was provided after that. So, first  
11 off, I think when you think about what the proper you know,  
12 reporting documentation format is, we have to figure out  
13 first what is the oversight mechanism? Who's responsible  
14 for it?

15 Because right now we haven't decided if it's  
16 ideally the proper role from an independent economic  
17 oversight perspective, if it should be the ISO, if it should  
18 be the IMM, if it should be a third-party. It seems like we  
19 need to understand this architecture first of what the  
20 oversight mechanism is going to be, and then figure out the  
21 question of what the proper channel is to provide that  
22 information. Now, it would seem like the easiest step is to  
23 kind of bolster the ISO role.

24 In that case, that may be, you know, tariff  
25 enhancements to the point of what information is already

1 provided. A big thing that we have to dissect on this, both  
2 in terms of the stringency of existing oversight processes  
3 and information as provided is there's a huge difference  
4 between reliability criteria and economic criteria.

5           And we do not have everything in place right now  
6 for economic criteria or oversight whatsoever, so we are  
7 pretty satisfied I think, with the degree of oversight on  
8 the reliability side of things where we do see opportunities  
9 for incremental improvement, of course.

10           But really, our main argument here is to make  
11 sure we have all the tools and information necessary on the  
12 economic criteria.

13           MR. KOLKMANN: Thank you, Mr. Chaisson, do you  
14 want to say something?

15           MR. CHAISSON: Yes. Certainly, it enables the  
16 reliability corridors to get some of this data, but it's --  
17 I think the key phrase is upon request when requested, but  
18 what we're seeing in practice at MISO, is they don't have a  
19 comprehensive folder with all these methodologies stored.  
20 And they don't have a comprehensive database with the  
21 limiting elements and most limiting elements.

22           All they have are the ratings that the TOs gave  
23 them, and the ability to ask them about particular ones  
24 which they do from time to time. And if you think about it,  
25 there's always going to be some lag if you have to ask for

1 something and put out a formal request, have a response to  
2 that request, so it would be better just to have a  
3 comprehensive database where it's already there.

4 MR. KOLKMANN: Thank you.

5 MR. KORMOS: So, I'll try to answer all kinds of  
6 different questions there. You know, as far as where it  
7 should be posted, I mean I don't think it needs to be in the  
8 tariff, I just think it would be burdensome to our changes  
9 for us to have to file, but again, if that's the Commission  
10 wishes, so be it.

11 I think just simply using the RTOs to post those  
12 methodologies as they said, PJM already posts their  
13 guidelines on transmission. I mean I think it would be more  
14 easier for us to basically where there are any assumptions  
15 where we have to make a decision, we would list what those  
16 decisions were.

17 If there are any deviations from their  
18 methodology is, we'd be happy to list what their, you know,  
19 what those deviations are. I think that would be the  
20 easiest and cleanest, rather than having people have to  
21 search through tariffs.

22 I think it would be easier if it was all readily  
23 available through the ISO RTOs if you so choose. You know,  
24 I would also go back and just also point out, I mean there's  
25 a lot of talk about, you know, auditing all of our ratings.

1 Please recognize that the vast amount of ratings on the  
2 system have no impact.

3           Those lines are not overloaded. Those lines do  
4 not go into congestion. It is a very small subset, Joe may  
5 know better than me what the subset is, a very small subset.  
6 And if there is an issue, I would suggest we focus on those  
7 first, and I think at least in PJM they do.

8           For those lines that are in routine congestion,  
9 or extreme congestion, even for a short period of time, I  
10 can assure you the first question asked is are the ratings  
11 right? And that discussion happens with the TOs. The TOs  
12 will go back and validate it. That discussion also happens  
13 in the planning world.

14           Again, I don't know if there's a formal -- what  
15 the limiting element is, but I can also assure you yes, if  
16 PJM asks, and when I was a PJM I asked, and now that I'm at  
17 Exelon, I will provide the answer of we will be clear, yes,  
18 it's a wave trap -- easy to fix, easy to replace.

19           Now, as I said also for the ratings that have an  
20 impact in PJM, they get put out through open windows in the  
21 market efficiency. You know, for all of the other -- I'm  
22 sort of surprised Joe suggested we put on dynamic rating  
23 devices on all lines. I'd be happy for that rate base.

24           I think it's a real waste of money because quite  
25 frankly, most of our lines are irrelevant. And also realize

1 too, Joe mentioned that some cases in dynamic ratings, you  
2 will see the same ratings. That is a legitimate thing --  
3 it's not that we are not doing dynamic ratings, but in  
4 certain cases the piece of equipment that is limiting that  
5 is not impacted by thermal conditions.

6           So, things like transformers that have their own  
7 cooling, they're not impacted by the weather. They will  
8 maintain their own temperature based on their fans and their  
9 oil keeping itself at its perfect temperature. The rating  
10 is set by that and what we're doing is just switching in  
11 fans to keep those things.

12           So, again, there's no difference in the  
13 temperatures. There are certain switches, again,  
14 temperature and wind normally have to do with the conduct,  
15 its annealing capabilities and its sagging capabilities --  
16 rigid bus barn substation doesn't have any of that, so  
17 there's just again, there is practical limitations as to  
18 what you know, where it would even play.

19           I was just again, if the Commission is interested  
20 in focusing on, please let's not do what I think some have  
21 suggested where we audit every rating out there. We put in  
22 a device everywhere out there. I just think that's a very  
23 big waste of time and money.

24           I personally think we can focus on those that are  
25 impacting. I think PJM is doing a good job. We can always

1 do better. Joe will tell us how we can do better, and we'll  
2 work there.

3 He told me I can tell him to do better. I'm  
4 sorry, I just want to be clear. I did not say put a DLR on  
5 every line. I said in an ideal world if it was free, we'd  
6 do that, but it costs money and what I suggested was it be a  
7 mandated pilot for everybody.

8 MR. KOLKMANN: Thank you.

9 MR. KRAMER: And I won't belabor the facts  
10 because a lot of this has already been said. As Michelle  
11 mentioned, FAC-008 puts very stringent requirements on the  
12 transmission owners for us to basically come up with actual  
13 ratings.

14 There seems to be kind of an undercurrent here  
15 that we have reliability ratings and we have economic  
16 ratings, and that they are somehow disconnected or separate.  
17 FAC-008 says there is an accurate rating, and that's what we  
18 are striving to do. It doesn't mean FAC-008 doesn't mention  
19 that there's opportunities in the non-planning environment  
20 and even in the operating horizons for adjusted ratings --  
21 that's potential.

22 But I guess I would push back on if people are  
23 saying that the FAC rating is specifically wrong for  
24 economics, or it's faulty, or something of that nature  
25 because I don't think it is. I think that there is actually

1 a methodology -- FAC requires us to have a methodology  
2 that's available as Michelle mentioned, it has to be  
3 explainable, it has to be defensible, so there is a method  
4 to the madness so to speak here.

5           This is not something that's conjured up  
6 independently with no forethought about what it would be  
7 used for. Most of the lines that we're going to talk about  
8 aren't going to impact the market in any way, shape or form.  
9 The amount of congestion lines that actually are impactful  
10 are usually a small number, so the cost of DLR -- and I  
11 admit, it shouldn't be on every one, but if you're going to  
12 go that extreme step, we have to make sure it's  
13 cost-effective.

14           In MISO at least, if there is a discrepancy, as I  
15 think you heard J.T. mention in the rating, or as a concern,  
16 MISO will contact the transmission owner, request  
17 information about it and if it's in the operating horizon,  
18 the TO will consider whether it's possible to make that  
19 change.

20           As far as also on the capabilities the access  
21 information right now, we're going to do the FERC 715 data,  
22 which in many cases, describe the rating methodology, so  
23 there is some information available there that people need  
24 to take advantage of, thank you.

25           MR. DILLON KOLKMANN: Did you want to say thing?

1

2 MR. BOWRING: So, I think it's important not to  
3 take false comfort in FAC-008. The fact that there is a  
4 methodology required doesn't mean it's the right one. It  
5 doesn't mean the methodology itself has been vetted  
6 carefully. There's a choice of methodologies and it's quite  
7 vague, in FAC-008, and then the only requirement is to  
8 verify that you're putting into place the chosen  
9 methodology, not that it's right.

10 And that's a huge gap. So, just it's important  
11 to remember that. So, it's -- when I say there should be  
12 the same method applied by everyone, and the same and  
13 different TOs with the same line, actually literally the  
14 same lines, with the same rating, it's in market contrast to  
15 that.

16 MR. KRAMER: Yeah, I guess, this is Dennis  
17 Kramer. The only thing I'll say is most TOs I'm aware of  
18 are using IEEE 738, or some derivative of that. So, a  
19 statement that these methodologies are unproven or untested,  
20 I would take issue with that for IEEE.

21 MR. BOWRING: So, the physics is the same. The  
22 input assumptions are not and that's what drives typically a  
23 lot of the differences.

24 MS. BOURG: I guess I just want to answer the  
25 question. This is Michelle Bourg with Entergy. Have you



1 seen in your experience in the PJM market or otherwise, a  
2 review of any of the methodologies that in your opinion have  
3 been egregious or not prudent from a sound engineering  
4 perspective?

5 MR. BOWRING: No, I mean the issue we're raising  
6 is they're not being reviewed, so the place to start is to  
7 review the methods themselves, and to have a rigorous  
8 process in place for doing that.

9 So, we're not saying there's some particular  
10 transmission owners doing anything wrong. What we're saying  
11 is that there is not an active review process in place,  
12 there needs to be.

13 MS. BOURG: I guess, correct me if I'm wrong,  
14 just one follow-up question. And it's my understanding, so  
15 please correct me, that PJM does publish ratings -- facility  
16 rating guidelines, either at the PJM level on behalf of the  
17 individual TOs, so that was the reason for my question  
18 because I thought PJM did have that information readily  
19 available.

20 MR. BOWRING: Yeah, I mean, if you look at that  
21 guidelines page, it's not quite what you think it is, so  
22 some of it is outdated, it's not -- it doesn't cover every  
23 TO, so I'm not sure what you think is there, but it does not  
24 specifically set out the method being used by the CO for  
25 rating of lines and by lines we mean, of course, all

1 elements of the transmission system.

2 MS. BOURG: Okay, I have to take a look at that  
3 document.

4 MR. KOLKMANN: Michael?

5 MR. CHAISSON: Mike Chaisson. I did some of the  
6 methodologies of different TOs in some of my investigations  
7 and one methodology might say it's basically name plate  
8 only. And another might say well it could be engineering  
9 review in addition. Another one might say there could be  
10 test data or engineering review, or a methodology and those  
11 three different methodologies come out with three  
12 contrasting ratings.

13 So, I don't -- it's hard to say, but if they are  
14 all "the correct rating" or "the accurate rating," they're  
15 different. And if these three ratings are describing a  
16 conductor that's in the same place, it's going to be  
17 basically the same ambient conditions than it doesn't seem  
18 like they could all be -- the possibility lies that one of  
19 them is overly conservative and doesn't need to be that  
20 conservative.

21 MR. KOLKMANN: Dennis?

22 MR. KRAMER: Yeah, and just let me give a little  
23 bit of an explanation on the three methodologies you just  
24 mentioned I believe are straight from the NERC standard for  
25 FAC-008. In other words, the TO is responsible for

1 establishing that rating and explaining it and defending it.

2           In some cases, we have name plate which may be  
3 the easiest, simplest to do. In others, there may not be a  
4 name plate rating, this may be something that's 30 or 40  
5 years old, and we can't find the records because it went  
6 through maybe the ownership of three or four different  
7 utilities.

8           So, you have to do an engineering analysis.  
9 That's not something wrong, that's actually the best method  
10 we have available to us. So, to say that you have to use  
11 name plate rating always, what do we do if we don't have it?  
12 FAC-008 has already figured that out that you don't have one  
13 method of capability of defining the rating. In some cases,  
14 you have to go out and do a physical inspection of what does  
15 that look like?

16           What does that jumper look like? Is it full out  
17 copper? Is it a ACSR? What is it, what's the diameter?  
18 And then we have to do an engineering judgment and  
19 calculation of what that element is. So, don't indict us  
20 for using the best methods available to identify the rating  
21 on an element or a line because other information and  
22 methods aren't available to us. Thank you.

23           MR. CHAISSON: Yeah, let me add just a little more  
24 clarification in my experience. This is a case where the  
25 name plate ratings were available in all cases. One TO only

1 used the name plate. The other one had the discretion to  
2 use two or three other methods but didn't have those other  
3 things in his rating.

4           They could have done them, but I don't know why  
5 their ratings are different, but it's not an example where  
6 they had to do something else because they didn't have a  
7 name plate.

8           MR. DAUTEL: I have a related question that gets  
9 to the economics versus reliability and the questions of  
10 who's doing auditing that we discussed earlier. So, I think  
11 we heard a comment that auditing wasn't being done and then  
12 we heard a comment that it is part, at least from a  
13 reliability perspective, it's done either by the RC or NERC.

14           I guess my question is what are reliability on a  
15 DP, auditing a rating to see if it's adjusted and  
16 reasonable? Or, would they only be looking to see if the  
17 assumptions are conservative enough to protect reliability?  
18 And if not, does someone need to be in the position  
19 evaluating the justness and reasonableness or economics?

20           MR. KORMOS: I understood the entire question.  
21 Probably going back to I think made previously, there are  
22 not different ratings for economics and reliability. There  
23 are different ratings chosen when they do studies, so they  
24 may use just a seasonal rating to do a long-term study  
25 because you have to assume the weather will be all over

1 during that study period, so you can't use an ambient 86  
2 degree day rating, because you can't be sure every day in  
3 that study will be that.

4           So, there are different ratings used in  
5 reliability studies that would be different from what is  
6 being used in real-time operations where they may be looking  
7 at the specific conditions of that day, putting in the  
8 rating temperature set for that condition, and operating to  
9 that.

10           The ratings between reliability and the economics  
11 are the same. There is only one line rating for our line.

12           MR. DAUTEL: I mean I appreciate that. I go back  
13 to my point that I'm not sure a reliability auditor would be  
14 working if the line was too conservatively.

15           MR. KORMOS: Right, so I would agree because I  
16 think, you know, when you look at rating, at basically how  
17 much risk you're willing to take with those facilities. And  
18 again, you can run things to a hotter internal conductor  
19 temperature. You can anneal them faster. You potentially  
20 can sag them. That's a risk determination that each TO  
21 needs to make based on the conditions of their assets and  
22 what they know in the field.

23           And I absolutely agree. You have to understand  
24 what you have in the field and just simply using name plate,  
25 you may be comfortable in some circumstances doing that, you

1 may not be -- particularly in an older station, just  
2 assuming name plate is the right one.

3           You know, I would agree. I don't know if anybody  
4 is making and should be making those risk judgments for the  
5 owner. I think we are consistent. We are not doing them  
6 based on providing a competitive advantage to any entity in  
7 either direction.

8           And again, our goal is to maintain and protect  
9 and provide reliability of those assets and therefore we  
10 have picked our methodologies and we stick to our  
11 methodologies. And just because somebody might benefit, if  
12 we basically lose more life on an asset, I don't know -- but  
13 I can assure you reliability first is not making those  
14 decisions.

15           MR. DAUTEL: Just to clarify, I don't have  
16 anything on my mind about reading into the reliability  
17 margin where you'd lose life on an asset, I'm just talking  
18 about whether a rating is a reasonable rating from a no-risk  
19 standpoint.

20           MR. KORMOS: No risk, and I think that's what the  
21 problem is there's always risk. There's -- well, risk and  
22 again, there's no difference between the rating for  
23 reliability and there is -- I don't know about margin.  
24 There's not really margin in there. I mean we've decided  
25 that we'll run our internal conductor temperatures up to

1 140, that's what we rate the lines based on. Somebody else  
2 may choose to run them hotter on their system, maybe.

3 In some cases, we put zero wind speed for some of  
4 our utilities in the East because we believe that's  
5 appropriate. For our Midwest, we might use 2 feet per  
6 second because we think that's a more reasonable based on  
7 historic weather, so.

8 MR. DAUTEL: Okay, I want to get some responses  
9 in here, Joe?

10 MR. BOWRING: Just very quickly, I agree with  
11 Mike and I know you didn't imply that but there's only one  
12 set of line ratings. But the question is should you be  
13 using a 90 degree line rating on a 30 degree day? And the  
14 answer is no, and that's not imposing any significant risk  
15 on you Mike, I don't think.

16 So, I mean and that's the question. Is it okay  
17 to use the 90 degrees as some people are doing, does that  
18 really make sense? Of course, it doesn't, but that would  
19 nonetheless pass the NERC test. So, clearly, that's not  
20 enough. So, if you think of that as a reliability standard  
21 and using an ambient adjusted as the economic standard, then  
22 of course there has to be a test for the economic standard.

23 What I suggest is that FERC should get involved.  
24 FERC should require a different standard of review, and of  
25 course, there's risk and I agree with that. And there

1 should be some systematic way of allowing for transmission  
2 owners to express that risk in a mathematically way, whether  
3 they're different choices or not. I mean, you know, that's  
4 a more subtle question. But at the very least, it should be  
5 made explicit.

6 MS. BOURG: Yeah, I just wanted to add, I mean  
7 you can't -- we're not operating two separate power grids  
8 here, there's not an economic grid and a reliability grid.  
9 At the end of the day, to your point, it's one facility  
10 rating. I think there is an interest and a benefit for  
11 reliability coordinators to be interested in that rating  
12 such that, and you know, we've talked about as part of the  
13 interview story here, there's value in knowing that you've  
14 got the best possible rating from an operational flexibility  
15 perspective.

16 So, just to your point, operating to this overly  
17 conservative rating is not always the best approach, even  
18 from a reliability perspective. And that's been what we've,  
19 you know, what we've determined and what we've realized  
20 through our journey with exploring and implementing  
21 temperature adjusted ratings.

22 And I would encourage you to think about it as  
23 such that even the reliability coordinator has an interest  
24 in understanding what is the true capability of that line,  
25 it's not just an economic question.



1           MR. DAUTEL: Devin?

2           MR. HARTMAN: Yeah thanks, and Tom, I think your  
3 question really hit it right on the head. And to clarify  
4 from a couple other points that were made here, we're not  
5 talking about different sets of line ratings, we're talking  
6 about different sets of criteria, some of which exist and  
7 some are not in existence, for reviewing this and right now  
8 the standard criteria for reliability only.

9           And if -- it's really important to note that, you  
10 know, the current paradigm is already letting these  
11 practices go through as is, and we've seen this from the  
12 preponderance of evidence. There's a ton of slack in the  
13 system and so, the only logical explanation is there's not  
14 an economic scrub that's going on here as well.

15           So, there's a difference whether you have the  
16 same entity incorporate a different set of criteria to just  
17 focus on a singular line rating, or you have a liability set  
18 of criteria that NERC, you know, performs, and then you have  
19 another entity that kind of talks about alright, you could  
20 almost bracket it and have a ceiling and a floor for  
21 different review processes.

22           Either way, there's different ways to kind of  
23 skin this cat, but at the end of the day we're only looking  
24 at reliability criteria right now, and we're, you know, the  
25 result is that there's hundreds of millions of dollars being

1 left on the table that we're not squeezing out of the  
2 system.

3 MR. CASABLANCA: So, I think the original  
4 question was about who kind of should get to decide and  
5 review the methodology and the assumptions and all that?  
6 But I think a question we cannot forget is what is the basis  
7 that whatever entity is hypothetically selected, will use to  
8 determine what is appropriate and what's not?

9 I think historically, transmission owners like  
10 us, right, we've relied on research -- published research,  
11 testing, operational experience, vendor discussions, to make  
12 that determination. And I think, maybe as I said during my  
13 opening statement, I think others too, is that hopefully,  
14 you know, it ends up that we all start methodically sharing  
15 all of our methodology right, as part of whatever mechanism  
16 that is selected hypothetically, then we can rely and lean  
17 on those research entities, academia, you know, when they  
18 look at Power Research Institute, IEEE, CIGRE, others, you  
19 know, reputable resources so that they can maybe review the  
20 methodologies in aggregate, identify areas where maybe  
21 there's a lot of discrepancy.

22 And from that maybe then we can do some research  
23 to investigate why are certain parameters selected, and  
24 whether those parameters are appropriate or not. I mean, as  
25 we speak, there are discussions happening I think on

1 emissivity and some other related factors based on new  
2 research or new findings or new field tests that have been  
3 performed.

4           So, this is a, you know, as I eluded to, this is  
5 an ongoing process and so, I understand it's important to  
6 decide if we have to review it, who will do it. But I'm  
7 really curious how they're going to make that judgement, and  
8 let's not forget that.

9           MR. KOLKMANN: And do others agree with that?  
10 Essentially, one of the benefits to transparency would seem  
11 like other TOs could maybe gain some benefit to looking into  
12 this is how AEP, for example, has chosen to rate their lines  
13 and this is the methodologies they've chosen, so maybe we  
14 can -- maybe there are lessons learned.

15           MR. BOWRING: Absolutely, I didn't expect to  
16 agree with what he said, but I actually did. So, I mean,  
17 science-based engineering fact-based standards for the  
18 methods, absolutely. And the more information that is  
19 shared and the more everyone can come to a common agreement  
20 about that, again, fact-based and engineering-based, of  
21 course that's a good thing, and that should lead to an  
22 improvement in methods, the standardization of methods and  
23 the ability to actually solve some of the problems we're  
24 talking about.

25           MS. GADANI: Question -- so, it was helpful to

1 hear from both Exelon and AP that if this methodology, if  
2 the Commission would require it to be posted on the website  
3 would be okay. Can the other TOs talk about their concerns,  
4 because I know I've heard this information provided to the  
5 RCs, they have it, but I think our question is a little bit  
6 broader and was to the point that was made earlier about  
7 sharing information.

8           So, is there any concern that the Commission  
9 should be aware of with posting this type of methodology  
10 information on the website in communicating when changes are  
11 made to the rating?

12           MS. BOURG: Yeah, I mean, I'll speak yeah going  
13 to TA's requirement 4. Not only can the RC request the  
14 facility rating methodology of the TO, neighboring TOs can  
15 also ask for the methodology of the TOs that they  
16 interconnect with. So, I guess going back to Carlos's point  
17 in the spirit of sharing and transparency, I mean we have  
18 that ability today to understand and to gain information  
19 from our neighbors, you know, to understand where we may  
20 have opportunities for improvement.

21           You know, specifically relating to you know, I  
22 guess our perspective around whether or not our facility  
23 rating methodology could or should be shared publicly,  
24 either via MISO or from Entergy, and that's certainly  
25 something we would be open to continue discussion about.

1           Certainly, understanding the risk and trade-offs,  
2 I think the no-fly zone of sort for us, or the point where  
3 we would be very uncomfortable, would be the sharing of  
4 individual facility ratings. So, the methodology --  
5 certainly agreeable to the discussion, ratings themselves.

6           And I think other panelists have shared, you  
7 know, concerns around, you know, the potential for  
8 litigation, scrutiny by parties that may not have the same  
9 core reliability security interest at heart, and just really  
10 the distraction that that poses around you know, the review  
11 of rating by rating.

12           The methodology -- I think that's something  
13 that's you know, that's something that certainly we'd be  
14 open to continuing to talk about.

15           MR. KRAMER: Yes, Dennis Kramer. The -- I would  
16 agree with what Michelle was saying that we can all learn  
17 from each other and we don't claim to have perfect knowledge  
18 about what the best methods are in all cases. As Mike said,  
19 you know, in some cases we have data, maybe we can learn  
20 from each other to improve it.

21           So, having the methodologies available and  
22 understanding them, like in most cases. I know in Ameren's  
23 case, we put that in our 715. If you go look at the 715,  
24 you'll see the methodology that lays out how the ratings are  
25 developed.

1           But we would definitely share the concern with  
2 providing -- we will consider probably CEII data, which  
3 would be information around how you can duplicate the rating  
4 on a particular line where we would give you all that  
5 information because we don't deal in that. We don't want to  
6 be giving out CEII data that is your guys' job and FERC, to  
7 decide where that goes.

8           So, we would be very uncomfortable with any  
9 discussion around us providing that on a website. But as  
10 far as the methodology, the process that goes into it, I  
11 think that's something we'd definitely be willing to  
12 discuss, how do we make that available and  
13 understandable for stakeholders.

14           MS. BOURG: Right.

15           MR. HARTMAN: One redundant theme that came up in  
16 this line of responses I think is whether TOs have  
17 sufficient information to understand, you know, what the  
18 best practice may be on a line specific case. So, going  
19 back, even to the point that Mike Kormos made of looking at  
20 like the prudence of a DLR upgrade on a given line, you  
21 know, that's not going to be a one size fits all approach  
22 right for the Commission.

23           And it's, you know, at the risk of sounding like  
24 a transmission owner, it may be -- right, right, right,  
25 don't take any offense. It may be unreasonable for us to

1 expect that the TOs are going to sit there and say, "Well,  
2 based on system congestion here, you know, the benefits here  
3 are outweighing the costs, and we're going to, you know,  
4 undertake additional cap X for a few items here." So, I  
5 think it gets back to kind of talking about what is sort of  
6 like an independent review process to kind of develop a  
7 counter factual and give us a sense of where cost benefits  
8 may come with different applications.

9           And then you kind of set that up. If you have a  
10 good counter factual, then you can have a consultative  
11 process with individual TOs online and that I think would  
12 perhaps be something that would address a lot of concerns on  
13 the ambiguity of discretion, and of course, someone raised  
14 points on liability -- that's going to be a big issue.

15           If we're starting to ask TOs to do things that  
16 are incorporating more variables with greater degrees of  
17 uncertainty, when we do have inevitable you know, from load  
18 loss tied to certain transmission practices in different  
19 cases, there's going to be lawsuits, and if there's a lot of  
20 ambiguity in terms of what should have been done, that's  
21 going to be costly in a litigation side.

22           And a lot of our members are engaged in those  
23 types of lawsuits, so I think the more we can kind of  
24 clarify expectations, it kind of helps all parties across  
25 the board. Is that reasonable?

1           MR. KOLKMANN: Thank you.

2           MR. KRAMER: I would just ask, this is Dennis  
3 Kramer, if you thought that was reasonable. I think in  
4 summary of basically being able to understand and have a  
5 knowledge base of why the rating methodology as such is  
6 good, the litigation is something we seek to avoid with  
7 these ratings.

8           We do not want to get into a situation where a  
9 rating is litigated up through the FERC or the courts as  
10 Mike Kormos said, when our rating is changed, it changes the  
11 system flows. And when you change the system flows,  
12 somebody makes more money, somebody makes less money.

13           So, we take that very seriously, we do that and  
14 any ratings we do not necessarily -- we do not look at who  
15 benefits and who does not benefit from that rating flow. We  
16 do the best we can to get a rating that is accurate and also  
17 supports the system reliability.

18           Can we improve in those rating methodologies?  
19 Yes, I think most anyone would be foolish to say that we do  
20 everything perfectly. Thanks.

21           MR. KOLKMANN: I do want to talk about the FTR  
22 market briefly, maybe not briefly. Because it seems like  
23 that's one of the benefits that might be gained through  
24 additional transparency. Were the Commission to move in the  
25 direction or TOs to move in the direction of more ambient



1 adjusted ratings, there would be consequences to the FTR  
2 market, obviously that's -- their values are based on  
3 congestion, whilst the models themselves are often based on  
4 the static assumptions for supply.

5           So, what do we do about that and is the answer --  
6 is it okay, is the answer just more transparency so that  
7 market participants would know? This is what -- this is how  
8 congestion is going to be calculated and thus affecting  
9 bids. I'll throw that open to anyone who wants to talk.

10           MR. KRAMER: Dennis Kramer, FTR funding has been  
11 a long-term discussion within MISO. And its -- the concern  
12 is if you -- if we provide information for market  
13 participants, which I think I said in my opening statement,  
14 that we feel that the individuals who are market  
15 participants, need the information available to them so they  
16 can make accurate and good business decisions.

17           That means they have access to it, that means  
18 it's stable. It's not changing every day, and it's also  
19 something that they can use for predictions going forward,  
20 because that's what FTR's are, they're looking forward.

21           Where we would have concerns is if we start  
22 dissecting after the fact events where you say well, we did  
23 an adjusted rating and for the next two months, six months,  
24 whatever duration the FTR may be, and it expected a rating  
25 temperature of 80, the temperature went up to 90, so

1 therefore the rating was less.

2           Therefore, FTR funding now may go down. Well,  
3 now we're going to get a post-mortem, so to speak, of why  
4 did you assume that rating was this? Why did you assume  
5 that temperature? And then you go into the litigation area.  
6 That's the part that we would have definite concerns with  
7 would be after the fact, Monday morning quarterbacking of  
8 any types of adjusted ratings or things of that nature.

9           Because like they said, funding will go up and  
10 down. That's been a very sensitive topic within MISO for  
11 several years.

12           MR. KOLKMANN: Mr. Bowring?

13           MR. BOWRING: So, since -- I think we would leave  
14 ratings stable so that we make life easier for FTR  
15 participants and don't get litigation. It strikes me as  
16 being an indefensible position. There is better data,  
17 better data is always better. If that makes FTR purchasing  
18 more-risky, so be it, that's life in buying FTRs.

19           FTRs can never and should never return more  
20 congestion than there was or less congestion than there was  
21 if they're designed properly, which they're often not  
22 always. But the idea that we shouldn't change ratings, even  
23 to reflect correct ambient temperatures because somebody  
24 might not have predicted it -- it's just wrong.

25           The right ratings -- the right ratings, the right

1 rating. If it's 90 degrees out, you should use 90 degrees.  
2 If it's 30 degrees out, you should use 30 degrees and not  
3 keep 90 year 'round, because it makes life easier for FTR  
4 holders, that's irrelevant. Their job is to react to the  
5 reality of the market, not the other way around.

6 MR. KRAMER: Yeah, this is Dennis Kramer, I just  
7 want to clarify Joe, no, I wasn't saying that we should not  
8 adjust the ratings. What I was saying is we just have to  
9 make sure everyone knows, as you just eluded to, what the  
10 rules are so they can make those risk-based assessments as a  
11 market participant.

12 MR. BOWRING: Yeah, no I think that it goes back  
13 to something I've said, and others have said, which is  
14 that's for the standard rating method, it argues for a well  
15 and a certain transparent rating method.

16 So, yeah, of course, the transmission owner  
17 should not be sued because somebody didn't like the fact  
18 that the weather changed. I agree. But the method should  
19 make it very clear, unambiguously clear, to the extent  
20 possible, how the weather impacts the rating.

21 MR. HARTMAN: So, a couple things I think to  
22 think about in the FTR front. One is that if we're going to  
23 incorporate some more of these elements into, you know, the  
24 assumptions behind what's going to be driving congestion  
25 patterns, we have to be careful if there's not enough

1 transparency, if we start incorporating more of these  
2 elements without expanding and having sufficient  
3 transparency, then you create opportunities for information  
4 asymmetries.

5           Information asymmetries lead to problematic  
6 behavior in a lot of formats which we may discuss more in a  
7 bit. And then there's also the element of any uncertainty  
8 that's under these variables introduced, like we talked  
9 about before. Doing temperature adjustments is one thing,  
10 throwing in some of these other conditions will introduce  
11 more error factors.

12           Now, as long as the information expectations are  
13 clearly communicated and all different market participants  
14 have access to the same information, I think from a you  
15 know, a load congestion management perspective, and you  
16 know, we should probably talk to the traders about this,  
17 which would be great.

18           And perhaps in some follow-up comments we should  
19 engage them. But thinking about like, is this a bold change  
20 for risk management profiles to some degree, so we probably  
21 need to think about the incorporation of the assumptions  
22 that go into FTRs, as well as then be in line with that when  
23 we talk about, for example, what goes into the day ahead  
24 models versus the real-time, where we've already seen that  
25 if you have you know, different assumptions behind what

1 would activate different constraints for example, you'll see  
2 different forms of regulatory arbitrage in some cases and  
3 condition rates in forms of gaming.

4           So, we do have to think about consistency,  
5 addressing information, asymmetries and thinking about how  
6 risk management profiles will change across the system.

7           MR. KHELOUSSI: Thank you very much. This has  
8 been very informative. There's a lot of steps between you  
9 know, calculation of rating, decision about guidelines or  
10 methods. Where that information goes, if its apparently not  
11 even in one dataset, it's in folders and it's difficult to  
12 access for I think Michael mentioned.

13           I guess -- I understand the litigation concern, I  
14 get it. Is there -- are there reasons that for example, the  
15 market monitors should not have access to this data? And  
16 then you know, what do you do in the non-RTO regions? Like,  
17 where is the lowest hanging fruit without getting anywhere  
18 close to litigation?

19           I feel like aggregating data into one dataset,  
20 like that's just -- that's not even like something, that's  
21 just a good practice of collecting data, you know. So, just  
22 can anyone comment on the sort of tangible, lowest hanging  
23 fruit to resolve some of the transparency concerns.

24           MR. BOWRING: So, the answer to your question  
25 about should market owners have access to data, the answer

1 is yes. I believe we are under the PJM tariff. But more  
2 broadly, I think you're right. Data management is -- better  
3 data, data management and having the data accessible to the  
4 RTO, and the market monitors, but also even potentially is  
5 the competitors, is maybe different levels of data, but  
6 there's more detail that needs to be provided to  
7 competitors, so if the TO doesn't want to invest in certain  
8 elements and someone else does, then that's an option.

9 But data management and routine maintenance of  
10 databases and access to that data, of course, accounted for  
11 all the security issues is I think, a low hanging fruit, as  
12 you say.

13 MR. CHAISSON: I have a quick question and then I  
14 have a little longer question. Mike Chaisson. Market  
15 monitors having access to data. When I requested data from  
16 transmission owners, I've always received it. But some of  
17 them have said that they didn't agree that I was entitled to  
18 it because I wasn't a reliability coordinator, but they gave  
19 it to me anyway. They didn't think the tariff required them  
20 to do it.

21 So, it's not universally felt amongst everybody  
22 that the market monitor should have it. As a market  
23 monitor, I certainly think we should because we couldn't do  
24 that part of the tariff otherwise.

25 MR. KHELOUSSI: Sorry, real quick follow-up. I

1 think in your slides, you say you don't have access to at  
2 least certain things that you would want.

3 MR. CHAISSON: So, what we don't have access to  
4 is a comprehensive dataset of what the limiting next  
5 limiting elements are. We don't know what kind of conductor  
6 it is on each of these 115 kV lines, there might be  
7 different designs of conductors.

8 We don't have a dataset of all the methodologies,  
9 so it makes the monitoring part difficult. Now the  
10 investigation step, where we do a data request, we can dig  
11 all that up.

12 MR. KHELOUSSI: Okay. Thank you.

13 MR. CORBETT: Okay, I'll pick-up where I left  
14 off. Real quickly, one thing I want to wrap my mind around  
15 is this loss of life concern. If you use the ANC IEEE CIGRE  
16 standard rating in your facilities, just say simply to those  
17 methodologies, or algorithms that they have.

18 I could see where your -- for like your normal  
19 ratings, they're based on a zero or shall we say minimum  
20 loss of life. I realize you could encourage additional loss  
21 of life if you were to go to a higher emergency rating,  
22 however that's only if they experience those ratings, so  
23 we'll call that loss of life at risk.

24 So, what I ask you is you could have a  
25 transmission facility that's limited because of a switch,

1 and that particular switch rating is limited because of the  
2 porcelain insulators. So, who is reporting the status of  
3 remaining you know, the typical bathtub curve analysis,  
4 who's reporting the residual remaining life on these field  
5 facilities due to ratings, or loading experience? Does  
6 anybody want to speak to their organization's loss of life  
7 tracking analysis?

8 MR. KORMOS: Yeah, I don't know if anybody's  
9 doing it for every piece of equipment in circumstances where  
10 if you have a piece of equipment, you have a disconnect, and  
11 it prematurely fails below the name plate rating, and you're  
12 doing an investigation and that investigation uncovers some  
13 kind of age-related material defect. Yeah, we might go in  
14 and then take that particular device and de-rate it across  
15 our system, just because again, we're as much concerned  
16 about it failing in the field unexpectedly as anything  
17 else.

18 So, I don't know if we're doing loss of life  
19 bathtub, you know, probably risk assessments on every piece  
20 of equipment, I just don't think we're that sophisticated.  
21 You know, again, there's a lot of -- you know, some of our  
22 equipment is 50-60-70 years old. In some cases, again,  
23 you're just looking at actual experiences, investigations  
24 afterwards as to why failures might have happened when you  
25 didn't expect them to happen in particular.



1           That may lead to how you look at particular  
2 ratings, so.

3           MR. CORBETT: I understand that. I appreciate  
4 that. The final question that I had was -- yeah, the last  
5 question I had was dealing with you know, the FERC shares in  
6 wanting to have accurate ratings for numerous reasons.

7           A matter of fact, following the 2003 blackout, we  
8 issued Order 693 directly the development of FAC-008, and  
9 specifically in FAC-008, it says that when you're  
10 determining your facility ratings, please identify how you  
11 took into consideration ambient conditions.

12           So, that's been out there for over 10 years, and  
13 we're just looking for more methodologies that include more  
14 shall we say, methodologies that include more analysis are  
15 taking into consideration ambient conditions.

16           And what I'm hearing, is I'm hearing like from  
17 PJM, they have this, almost like an Excel spread sheet,  
18 which could populate their facilities based on certain  
19 ambient bandwidths, and then I'm also hearing some entities  
20 saying that they use local weather condition forecasts.

21           I'm not proposing any one methodology, but it  
22 appears that there's a lot of low hanging fruit  
23 methodologies that are out there are shall we say, aggregate  
24 components that could develop a methodology without being so  
25 much of a heavy lift, or technologically burdensome -- at

1 least start moving down that path. Any comments with regard  
2 to that?

3 MR. BOWRING: You're right.

4 MR. KOLKMANN: On that note, I think it's 12:15.  
5 I know it's 12:15. Let's go with that. So, I want to thank  
6 all the panelists for being here. It was very informative.  
7 It's been a great day of discussion, you've given us a lot  
8 to think about, so thank you for that.

9 There will be an opportunity to request or to  
10 respond to all of this. There will be a post-Conference  
11 request for comments. I encourage you to respond to that.  
12 We surely didn't get through everything today, so I  
13 appreciate your willingness to respond after the fact.  
14 Thank you very much.

15 (Whereupon the Conference concluded at 12:15  
16 p.m.)

17

18

19

20

21

22

23

24

25

## 1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 Managing Transmission Line Ratings

8

9

10

11

12

13

14

15 Docket No.: AD19-15-000

16 Place: Washington, DC

17 Date: Wednesday, September 11, 2019

18 were held as herein appears, and that this is the original

19 transcript thereof for the file of the Federal Energy

20 Regulatory Commission, and is a full correct transcription

21 of the proceedings.

22

23

24

Bala Chandran

25

Official Reporter